

MEETING

STATE OF CALIFORNIA

DEPARTMENT OF TOXIC SUBSTANCES CONTROL

**PUBLIC MEETING**

**PRESENCE OF 1,4-DIOXANE IN PERSONAL CARE AND CLEANING  
PRODUCTS AND THE ALTERNATIVE ANALYSIS THRESHOLD**

LOS ANGELES COUNTY SANITATION DISTRICT

JOINT ADMINISTRATIVE OFFICE

1955 WORKMAN MILL ROAD

WHIITER, CALIFORNIA

FRIDAY, JUNE 28, 2019

10:02 A.M.

## APPEARANCES

### DEPARTMENT OF TOXIC SUBSTANCES CONTROL (DTSC)

Manuel Lopez, Public Participation Specialist, Office of Environmental Equity

Karl Palmer, Acting Deputy Director, Safer Products and Workplaces Program

Andre Algazi, Senior Environmental Scientist, Supervisor, Safer Products and Workplaces Program

Anne Cooper Doherty, Senior Environmental Scientist, Specialist, Safer Products and Workplaces Program

### PRESENTERS

Thorsten Reemtsma (via WebEx), Helmholtz-Centre for Environmental Research, University of Leipzig

Ann Heil, Sanitation Districts of Los Angeles County

Mark Kawamoto, Orange County Sanitation District

Jeff O'Keefe, State Water Resources Board, Division of Drinking Water

Jane Williams, California Communities Against Toxics

Nancy Buermeyer, Breast Cancer Prevention Partners

Stephen P. Risotto, American Chemistry Council

### PUBLIC COMMENT

Kelly Grant

Jennifer Stackhouse

## I n d e x

	Page
1. Welcome, Opening Remarks and Agenda Review	4
2. Presentations	
Thorsten Reemtsma	20
Ann Heil	28
Mark Kawamoto	39
Jeff O'Keefe	48
Jane Williams	63
Nancy Buermeyer	69
Stephen P. Risotto	79
4. Public Comment	--
5. Conclude and Adjourn	97

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. LOPEZ: Good morning. So on behalf of the Department of Toxic Substances Control, we would like to welcome you to our Public Meeting on 1,4-Dioxane in Personal Care and Cleaning Products. Thank you for participating.

My name is Manuel Lopez and I am a Public Participation Specialist for the Office of Environmental Equity for DTSC.

First, we have a couple of housekeeping items.

Please note that the restrooms are located down the hall, and then down this hall to your left for the women's bathroom.

Secondly, if you notice these three doors, that will be our exit in case of an emergency, and towards the main entrance of this building.

Should you need any assistance during this public meeting, please seek the attention of DTSC staff, if you can please wave your hand so that they can see who you are.

I would also like to acknowledge Los Angeles County Sanitation Districts for allowing us to host this meeting here today.

A couple of requests that we have from the audience.

If you can please silence all your phones, the outlets, and all electronics? If you can please also limit

1 cross conversation during the meeting, treat other people  
2 with the same level of respect you expect from others?

3 I would also like to share that there's a court  
4 reporter. And this workshop will be webcast and recorded.

5 We will be providing an opportunity for public  
6 comment later this morning. We ask that anyone who is  
7 interested in providing a public comment to please complete  
8 a speaker card. You can find one of those over there on the  
9 table. And you can return it to the registration table to  
10 one of our DTSC staff.

11 For those tuning in remotely, your email -- you  
12 can email your comments to Safer Consumer Products at  
13 DTSC.ca.gov and it will be read out loud.

14 At this time, I would like to introduce Acting  
15 Deputy Director of DTSC Safer Products and Workplaces, Karl  
16 Palmer.

17 MR. PALMER: Thank you, Manuel.

18 Good morning. I just am going to be very brief  
19 because there's a lot of good information today that we want  
20 to share and hear about.

21 First, I want to echo Manuel's thanks to L.A.  
22 County Sanitation Districts, and specifically to Ann Heil,  
23 for hosting us here. We're glad to be here with all of you.  
24 I'm excited to hear from our speakers today. We have a  
25 great group of speakers.

1           And we're also excited to share with you our  
2 perspective to date on 1,4-dioxane in personal care and  
3 cleaning products as an issue that we've been looking at for  
4 a while. And the main purpose today is for us to share that  
5 information with you here and everyone on the webcast, as  
6 well as to hear from you because, fundamentally, our process  
7 is really -- the cornerstone of it is information, good  
8 science and information, so that we can make good decisions  
9 within our Safer Consumer Products framework.

10           You're going to hear in detail from Andre and Anne  
11 Cooper about both how the program works and what we've done  
12 to date. I really want to encourage everyone, if you  
13 haven't already, to read the background document that's  
14 posted on our website and to provide us comment through our  
15 CalSAFER web portal, which you can find on our web page.

16           I also want to note that we're going to have  
17 another workshop on August 21st in Sacramento. It will be a  
18 little bit of a deeper dive on some of the issues around  
19 what we're going to talk today. And through the end of  
20 August, you'll have an opportunity to comment.

21           It's really important from our perspective to hear  
22 from all of you. As I said, information is the coin of the  
23 realm, so we need everyone's perspective so that we can make  
24 good decisions and move forward within our framework and to  
25 meet our policy objectives.

1           So with that, thanks to our speakers that are here  
2 today. We really appreciate people coming from far and  
3 wide, and the people in Europe, who are joining us. And  
4 again, thanks so much. Looking forward to the dialogue  
5 today and moving forward.

6           So with that, I'm going to introduce Andre Algazi.  
7 Andre is a Senior Environmental Scientist who leads our  
8 Chemical Product Evaluation Team. It's a group of  
9 scientists and engineers who look at the work plan of  
10 potential consumer products containing certain chemicals for  
11 identifying what we call priority products. So Andre is  
12 going to give an overview of the system, the framework, and  
13 we'll go from there.

14           So thanks again.

15           MR. ALGAZI: So thank you, Karl, and good morning  
16 everybody.

17           Do I have the slide advance? This?

18           So many of you or some of you, I'm sure, are  
19 somewhat familiar with our regulatory framework. I'd just,  
20 for the benefit of everybody, I'd just like to spend a few  
21 minutes going over sort of the outline of what the  
22 regulatory framework that we're working in is and how what  
23 we're talking about today, 1,4-dioxane, fits into the  
24 framework.

25           So this chart depicts the four steps in the

1 regulatory process. The steps are laid out in framework  
2 regulations that we adopted in 2013. And we're implementing  
3 a bill that was adopted five years prior, AB 1879, which was  
4 the Green Chemistry Law.

5           So in the framework regulations the four  
6 elements are the chemicals, products, alternative selection  
7 and analysis, and regulatory response.

8           So the Candidate Chemicals List is laid out in the  
9 framework regulations and there are 23 source authoritative  
10 list that comprise the Candidate Chemicals List. We  
11 maintain an informational list on our website of all of  
12 these chemicals. So a chemical that appears on one or more  
13 of these 23 lists is a candidate chemical for the purposes  
14 of our program.

15           The blue circles represent the Hazard Traits List,  
16 so things like carcinogens, mutagens, reproductive  
17 toxicants, things like that. The purple circles are the  
18 exposure potential list and they include chemicals that are  
19 on, for example, 303(d) List, toxic air contaminants, things  
20 like that.

21           So the lists do change. The source lists do  
22 change over time as the various bodies that maintain them  
23 amend them. And when that happens then, in many cases, our  
24 Candidate Chemicals List changes, too, along with it.

25           So 1,4-dioxane is a candidate chemical and so that

1 brings us to the second column which is the products column.

2           So identifying a priority product kind of starts  
3 with our three-year priority product work plan. And we're  
4 in the second three-year work plan. Our current work plan  
5 covers 2018 to 2020. There are seven product categories in  
6 the work plan. And we've identified two product categories  
7 where we're concerned about 1,4-dioxane, which is cleaning  
8 products and personal care products.

9           So the process of going from the work plan to a  
10 specific product chemical combination, and we're not there  
11 yet, is sort of a iterative kind of discernment process that  
12 includes public engagement, like the meeting we're having  
13 today, to get information from our stakeholders so that we  
14 can, as Karl said, make informed decisions.

15           The framework regulations have sort of two  
16 overarching, what are called, key prioritization principles  
17 that we have to think about in deciding what products to  
18 identify as priority products. There has to be potential  
19 for exposure to one of more candidate chemicals in the  
20 product. And secondly, there needs to be potential for  
21 significant or widespread adverse impact resulting from that  
22 exposure.

23           So today, we haven't yet focused in on very  
24 specific product chemical combinations, so we're going to  
25 hear a bit about the types of products and one that we're

1 looking at and the hazards of 1,4-dioxane as determined so  
2 far.

3           Once we do eventually -- assuming we do eventually  
4 select a specific 1,4-dioxane-containing product in one of  
5 these categories, it would become a priority product only  
6 after we go through a rulemaking process under the  
7 California's Administrative Procedure Act. And again,  
8 that's another public comment and public engagement process.

9           So we're in the early stages of the first  
10 column -- I mean, the second column, which is priority  
11 product selection. We haven't yet selected the product.  
12 That's my takeaway from that.

13           So what happens after the rulemaking process is  
14 the alternatives analysis and alternatives selection-  
15 alternatives analysis process. The regulations lay out a  
16 two-stage process that generally people would follow, the  
17 manufacturers of a priority product, although there are some  
18 other options like product removal or product -- or chemical  
19 removal or abridged alternatives analysis. Generally  
20 speaking, there are two stages, the first of which are  
21 identifying a potential alternative.

22           And then the second one, identifying relevant  
23 factors for comparison to compare the adverse impacts of the  
24 priority product and the alternative and so on. So that is  
25 a public process that involves publishing the final

1 alternatives analysis report, receiving public comment.

2           And at the end of that process we get into the  
3 fourth column, regulatory response. And the regulation --  
4 the framework regulations lay out several options for  
5 regulatory responses ranging from we need more information  
6 to decide what regulatory response to pose to potentially a  
7 sales restriction or nothing at all, it really just depends.  
8 We haven't predetermined at the time, even when we identify  
9 a priority product, what we're going to do ultimately as a  
10 regulatory response. It really is determined based on the  
11 alternatives analysis.

12           So that is really a very kind of nutshell, brief  
13 overview of the four steps of the SCP regulatory process. We  
14 have kind of a little bit more in-depth information  
15 available on our website if you're interested and you are  
16 not already familiar, so I encourage you to look at the  
17 Safer Consumer Products website.

18           And with that, I'd like to hand it over to Anne  
19 Cooper, Doctor Anne Cooper Doherty, who is the lead of the  
20 team that's been doing the work on 1,4-dioxane for the past  
21 year or so, and so she'll be giving you an overview of some  
22 of the information that you'll also find in our background  
23 document.

24           So thank you.

25           MS. DOHERTY: Thank you, Andre. All right.

1           So thanks everyone for coming. So the purpose of  
2 today is to hear concerns specifically related to 1,4-  
3 dioxane in consumer products, specifically the potential for  
4 adverse impacts, concerns associated with 1,4-dioxane in  
5 wastewater, and potential impacts of 1,4-dioxane on the  
6 beneficial reuse of wastewater.

7           So the format for the rest of the morning, I'm  
8 going to go over a brief overview of kind of the research  
9 that we've done, that includes presence in products,  
10 exposure concerns, and potential for adverse impacts. And  
11 as Andre mentioned, we've got more information on that in  
12 our background document, which is actually in the back of  
13 the room but also online. We're going to have a series of  
14 stakeholder presentations. And we are going to have a quick  
15 break in the middle of that just for planning purposes.

16           And then we have a general public comment period.  
17 If you are here in person and want to provide a comment,  
18 please make sure to turn in your comment card to one of our  
19 staff.

20           And if you are online, please email our Safer  
21 Consumer Products at [dtsc.ca.gov](mailto:dtsc.ca.gov) email address.

22           So I'll just start with a few basics about 1,4-  
23 dioxane.

24           As you can see in the top right corner, the  
25 structure, it is a very small chemical that's highly soluble

1 in water and is persistent in water, which means it's not  
2 easily broken down. We know that it can volatilize, which  
3 means that it can be inhaled. The United States  
4 Environmental Protection Agency indicates that it's a likely  
5 carcinogen and the National Toxicology Program indicates  
6 that this is by any route of exposure.

7           We know it doesn't stick to solids, and this  
8 include things like water filters or Brita filters, as well  
9 as particulates that might be removed during the wastewater  
10 treatment plant process. And as a result of that, we know  
11 that most standard forms of water treatment actually do not  
12 remove it.

13           So Andre mentioned our priority product work plan.  
14 Within that work plan there's two product categories that  
15 we're most interested in. The first is cleaning products,  
16 including things like laundry detergents and dish  
17 detergents. And the second is beauty, personal care and  
18 hygiene products, things like shampoo and body wash and  
19 cosmetics. And we're really focusing on these two consumer  
20 product categories because of their widespread use, their  
21 potential to contain 1,4-dioxane, and the fact that they're  
22 released down the drain after use.

23           So determining which products contain 1,4-dioxane  
24 and at what concentration can be difficult because it's a  
25 contaminant, which means it's not intentionally added to the

1 personal care and cleaning products it's used in, and  
2 instead it's formed in the production of ethoxylated  
3 surfactants and other raw materials. So it's not included  
4 on the label but we do know that it's often associated with  
5 ingredients that end in or contain the ETH, indicative of  
6 (indiscernible) ethoxylation. And chemicals include sodium  
7 laureth sulfate or polyethylene glycols. And we've  
8 underlined a few of those chemicals in this example label in  
9 the bottom right corner, but those don't always necessarily  
10 mean 1,4-dioxane is there, it just might give you an  
11 indication.

12           But to that end, DTSC is going to be conducting  
13 some of our own product testing in the upcoming few months  
14 to try and get a better handle on that.

15           So related to -- we have a couple of exposure  
16 concerns related to 1,4-dioxane. The first is during  
17 product use. So when you're using the product, you can be  
18 exposed by inhalation if you're in a hot shower. Dermal; a  
19 lot of these products are applied directly to the skin. Or  
20 even ingestion, as my two-year-old, who drinks his bath  
21 water, probably experiences.

22           And product use alone, we don't think that for  
23 most of the general population, that that's going to  
24 represent a significant exposure to 1,4-dioxane, but we are  
25 concerned about people that have 1,4-dioxane in their

1 drinking water, so they're being exposed to 1,4-dioxane that  
2 way, as well as through their products, and that's where our  
3 concern comes.

4           And then second, we're concerned about end of  
5 life. We know it goes down the drain. It goes to the  
6 environmental reservoirs, and eventually through the  
7 drinking water process, where we can be exposed through  
8 ingestion.

9           And for all of these exposure pathways, we're most  
10 concerned about the general population, and this includes  
11 children and other sensitive subpopulations.

12           So to get a little bit more about -- into that  
13 environmental reservoir and drinking water contamination, I  
14 wanted to walk through a graphic to illustrate how 1,4-  
15 dioxane from consumer products moves through the waste  
16 stream and could potentially impact drinking water.

17           So we know that manufacturers are producing  
18 products that unintentionally contain 1,4-dioxane and they  
19 ship them to our communities where we use them. We use them  
20 and then they, of course, go down our pipes to the  
21 wastewater treatment plants where, as we've already  
22 discussed, we know that most standard forms of treatment are  
23 not effective in removing it.

24           The effluent that's coming out of the wastewater  
25 treatment plants can be released to surface or groundwater

1 which is then sometimes used for drinking water. And  
2 additionally, California is also generating recycled water  
3 which has received additional treatment before being  
4 released to groundwater or surface water, which is one  
5 reason we're at L.A. County Sanitation District today. And  
6 the intention of this is to supplement drinking water. And  
7 this is part of the state's water management strategy.

8           And in the somewhat near future, we will be taking  
9 wastewater treatment effluent, giving it extra treatment and  
10 using it directly as drinking water instead of first  
11 releasing it to a groundwater or surface water system.

12           And then, of course, it's treated in a drinking  
13 water treatment plant and then delivered back to our  
14 communities where we could, potentially, be exposed to  
15 whatever 1,4-dioxane might be in that drinking water.

16           So I'd add one note on drinking water. We do know  
17 that a significant amount of the groundwater and drinking  
18 water contamination is most likely a result of historical  
19 industrial-related contamination. But we think that this  
20 graphic shows the potential for consumer products to  
21 contribute to this contamination as well.

22           So related to the presence of 1,4-dioxane in  
23 drinking water, there's two data sets that we've consulted.

24           The first is from the United States Environmental  
25 Protection Agency's recent survey of drinking water systems.

1 The map on the left shows this data. The background is the  
2 population density in California. The darker colors, the  
3 darker blues, indicate higher population. And then the  
4 individual dots are the data points within that survey. And  
5 those in red are data points that are above 3.5 micrograms  
6 per liter, which is the EPA's health reference  
7 concentration.

8 We also looked at the State Water Board's data of  
9 drinking water sources and systems, and that's in the table  
10 on the right. You can see that a lot of the counties that  
11 had concentrations above the 3.5 value overlay and are very  
12 similar to those that have exceedances in the EPA's data.  
13 And while these are not geographically widespread across the  
14 state, if you look at the population column on that table,  
15 you can see that these counties represent almost half of the  
16 state's population, so that they indicate a potential for  
17 widespread exposure.

18 And then I mentioned environmental justice  
19 communities. So we're particularly concerned about these  
20 communities that might be exposed to 1,4-dioxane from both  
21 products and drinking water.

22 And to get a better understanding of this  
23 possibility we looked at the Office of Environmental Health  
24 Hazard Assessments CalEnviroScreen which is a mapping tool  
25 to help identify California communities where people are

1 especially vulnerable to pollution's effects. And those  
2 communities are indicated by the red shaded areas in the  
3 insets on the map. And you can see that some of these  
4 communities overlap with the data points from the USEPA's  
5 survey with exceedances of that health reference  
6 concentration. So here we show Sacramento and Monterey  
7 Counties.

8           And then particularly relevant for us here today,  
9 in this inset we focused on L.A., Orange, and Riverside  
10 Counties where we've actually overlaid the USEPA data with  
11 the CalEnviroScreen data. And you can see a significant  
12 amount of overlap between these communities and samples that  
13 exceed the USEPA health reference concentration.

14           Children also represent a sensitive subpopulation  
15 that may be particularly vulnerable to the effects of  
16 exposure to 1,4-dioxane in consumer products and drinking  
17 water. We do know that 1,4-dioxane is present in some  
18 products targeted for use by children. And we know that  
19 children also have a number of special attributes that make  
20 them especially vulnerable. These can include things like  
21 different product use patterns. As I mentioned, my son, who  
22 loves to drink his bath water. I don't think most adults do  
23 that. High surface area to body weight ratio. And they've  
24 also got increased diffusion through the skin.

25           And finally, why we're here today, we're concerned

1 about impacts to water treatment agencies. We know that  
2 background 1,4-dioxane concentrations in wastewater effluent  
3 indicate widespread constant input such as that that might  
4 come from consumer products. We know that standard  
5 treatments are ineffective. And the specialized treatments  
6 that have to be used to remove 1,4-dioxane can be extremely  
7 costly.

8           So we're particularly concerned about the cost of  
9 this specialized treatment on the water treatment agencies  
10 that are generating recycled water, and they have to abide  
11 by permit requirements related to 1,4-dioxane, so we really  
12 don't want 1,4-dioxane to interfere with the beneficial  
13 reuse of wastewater and the state's plans to manage our  
14 water resources.

15           So with that, we've come up with three themes of  
16 key questions to stakeholders that we're hoping to get  
17 additional information from you on. The first theme is the  
18 potential for 1,4-dioxane adverse impacts. That's what  
19 we're focused on today. Themes two and three is related to  
20 the presence of 1,4-dioxane in personal care and cleaning  
21 products. And then the alternatives analysis threshold,  
22 that's a level that we would set if we were to go forward  
23 with the priority product. And anyone that makes a product  
24 that has a concentration below that level would not have to  
25 conduct and alternatives analysis.

1           So those two topics are going to be the focus of  
2 our workshop on August 21st up in Sacramento. And we invite  
3 all of you to join us there as well.

4           We have a CalSAFER comment period on our CalSAFER  
5 website that's open through -- we just extended it to August  
6 30th to allow people plenty of time to provide comments  
7 based on their knowledge, as well as the two workshops. And  
8 we're going to be considering this feedback to inform  
9 possible priority products that we might potentially list in  
10 the future.

11           So with that, we'll take any questions on any of  
12 the DTSC presentations that we've heard for the last few  
13 minutes if anyone's got any.

14           (Indiscernible.) We're good? All right.

15           (Indiscernible.)

16           MR. LOPEZ: Thank you, Anne Cooper.

17           So we will now transition into stakeholders'  
18 presentations. We will start with Professor Thorsten  
19 Reemtsma of the Helmholtz-Centre for Environmental Research,  
20 and the University of Leipzig in Germany.

21           MR. REEMTSMA: Hello?

22           MS. DOHERTY: Hello.

23           MR. LOPEZ: Hello.

24           MR. REEMTSMA: Good morning from Germany. I would  
25 like to briefly introduce you to the concept of partially

1 closed water cycles and illustrate the problems that may  
2 stem from the presence of persistent and mobile contaminants  
3 in such water cycle.

4 MR. LOPEZ: Professor Thorsten?

5 MR. REEMTSMA: Yeah?

6 MR. LOPEZ: Can you please share your screen with  
7 us?

8 MR. REEMTSMA: I thought I already did so. No?  
9 Ah, yes, here we are. I thought it was --

10 MR. LOPEZ: We see it. Thank you.

11 MR. REEMTSMA: You see it. Thanks.

12 So this is a partially closed water cycle. We  
13 also, as well as industry and cities as a whole, generate  
14 wastewater, most of which is actually treated in wastewater  
15 treatment plants and then discharged to rivers and streams.  
16 In densely populated areas the percentage of treated  
17 wastewater in river waters can easily exceed 20 percent,  
18 especially in dry seasons of the year.

19 Further downstream, the surface water may be used  
20 for drinking water production, either after infiltration to  
21 the subsurface or banked filtration, or even after direct  
22 abstraction. And the water is then treated in the  
23 waterworks and it comes back to us as a consumer. So this  
24 is a partially closed water cycle in which wastewater, after  
25 proper treatment, and part of which is coming back to us as

1 consumers in the form of drinking water.

2           In these partially closed water cycles we  
3 basically find three barriers, the wastewater treatment  
4 plant, the subsurface, and the waterworks. These are three  
5 barriers which remove contaminants from the water. And they  
6 usually are quite effective at removing all contaminants  
7 which originate from the wastewater that we have discharged.

8           However, all three barriers actually rely on the  
9 same removal mechanisms which basically are microbial  
10 degradation of organic contaminants and sorption to  
11 surfaces, either to the flux of the activated sludge, to the  
12 soil, or to activated carbon in the drinking water treatment  
13 plant.

14           Unfortunately, in wastewater we sometimes find  
15 components which are neither biodegradable, we call them  
16 persistent, and which are so polar that they do not tend to  
17 absorb to surfaces, and then we call them also mobile  
18 because they do not -- are not removed effectively. Such  
19 persistent and mobile contaminants, abbreviated as PM  
20 compounds, are not effectively removed by the three  
21 barriers. And there is a higher risk that these compounds  
22 actually move through all these barriers and finally end up  
23 in the drinking water which comes back to us as consumers.

24           Thus, the presence of persistent and mobile  
25 compounds in partially closed water cycles clearly limits

1 the reuse options -- and it limits the reuse options and  
2 endangers the water resources.

3           Together with colleagues, we were wondering how  
4 many of such PM compounds may be present in our water cycle  
5 and we searched chemical databases, in this case the REACH  
6 Regulation's Database of the European Union for compounds  
7 which may be persistent and mobile according to the criteria  
8 which are shown on this slide.

9           We then also checked for the risk of these  
10 compounds actually to be emitted into the environment based  
11 on the tonnage and the use characteristics of the chemicals.  
12 And it turned out that of the about 14,000 chemicals we were  
13 initially considering, more than 1,000 PM compounds have a  
14 high risk to be emitted into the environment. This, for us,  
15 was an unexpectedly higher number of chemicals.

16           One of the major compounds, one of the higher-  
17 ranked compounds, actually, in this exercise was 1,4-dioxane  
18 which made us more closely look at it, into the properties  
19 and the data, more closely look into the studies, actually,  
20 that were available. And it was confirmed in that study,  
21 then, that 1,4-dioxane is, indeed, persistent and very  
22 mobile.

23           And it may be worthwhile, also, to look at its  
24 toxicity. And based on the studies it turned out that 1,4-  
25 dioxane would be carcinogenic Class 2, according to the

1 European categorization, meaning that it is considered  
2 carcinogenic for humans based on animal data.

3           So obviously, for resources, for our water  
4 resources and the quality of our drinking water, it makes a  
5 large difference whether we find only persistent mobile  
6 chemical, or a PM chemical, or a compound which is also a  
7 toxic PMT chemical, like 1,4-dioxane.

8           Colleagues from the German State of Bavaria in  
9 Southern Germany, they are monitoring their surface waters  
10 for the presence of 1,4-dioxane in the past years. And they  
11 virtually found 1,4-dioxane everywhere in the surface waters  
12 and, usually, in low concentrations, which suggests that the  
13 compound was regularly emitted from municipal wastewater.  
14 But in some cases, also, very high concentrations of several  
15 micrograms per liter. And in these cases, 1,4-dioxane was  
16 actually released by industry from production processes.

17           So to conclude, persistent mobile compounds are an  
18 issue in partially closed water cycles. Technical measures  
19 to remove these compounds from water are limited because  
20 they're not biodegradable and do not sorb to surfaces. And  
21 in the case of 1,4-dioxane of oxidated -- other oxidation  
22 processes are not very effective. The presence of PM  
23 compounds in partially closed water cycles endangers  
24 drinking water resources and limits wastewater reuse  
25 options. And this, of course, is especially true for

1 compounds which are also toxic. And one of these -- this  
2 one, actually, is 1,4-dioxane, at least according to the  
3 German Environmental Agency UBA.

4 Avoiding the release of PMT compounds is probably  
5 the most sustainable way to protect our drinking water  
6 resources.

7 Thank you.

8 So this is my presentation. I'm not sure that you  
9 could hear me.

10 MS. DOHERTY: We could. Thank you.

11 MR. LOPEZ: Thank you, Professor Reemtsma.

12 Are there any questions for Professor Reemtsma?

13 MS. WILLIAMS: Yeah. Can you ask him what the  
14 measure of the persistency that he used?

15 MR. LOPEZ: Professor, were you able to hear that  
16 question?

17 MR. REEMTSMA: The measures for the persistency;  
18 was that right?

19 MR. LOPEZ: Yes.

20 MR. REEMTSMA: Yeah. We had the -- I had this on  
21 one slide, which was maybe sloppy. There are the defined  
22 criteria for persistency in the European REACH Regulation  
23 which are based on the definitions used for selecting PVT  
24 compounds, or the persistent volatile and toxic compounds.  
25 And they actually stick to those criteria, also, in

1 evaluating the PMT, the persistent, mobile and toxic  
2 compounds. And then this degradation outlet in river waters  
3 and exceeding 60 days, degradation in fresh or estuary  
4 waters exceeding 40 days, and in sediments, exceeding 120  
5 days, and in soil, also, exceeding the time of 120 days.

6 MS. WILLIAMS: So can you ask him that -- how this  
7 compares to the LOG Kow?

8 MR. LOPEZ: Professor, Jane Williams is asking,  
9 how does this compare to --

10 MS. DOHERTY: The LOG Kow.

11 MR. LOPEZ: Log K-A-W?

12 MR. PALMER: K-O.

13 MR. LOPEZ: K-O-W.

14 MR. REEMTSMA: Okay. So mobility, actually, was  
15 measured using the Koc and not the Kow. And the Koc of --  
16 the log Koc of 1,4-dioxane and it's 0.8.

17 MR. LOPEZ: We have one more question for you.

18 MR. REEMTSMA: Yes, please.

19 MR. LOPEZ: Never mind.

20 (Laughter.)

21 MR. LOPEZ: Is there any -- we do have another  
22 question for you, Professor.

23 MR. RISOTTO: Ask him whether this is published?

24 MR. LOPEZ: Is this published information,  
25 Professor Reemtsma?

1           MR. REEMTSMA: Yeah. The evaluation on these PMT  
2 compounds, there's a record, which is actually on this slide  
3 I'm showing right now. There's a record of the European --  
4 of the German Environmental Agency, UBA. And this is  
5 available for download, yes. That's the Assessment of  
6 Persistence, Mobility and Toxicity of 167 REACH registered  
7 substances. That's the title of the study and that is  
8 published.

9           MS. DOHERTY: Were those detections just surface  
10 water or were they also drinking water?

11           MR. REEMTSMA: Well, the data I have shown were  
12 only for the surface waters because the colleagues in  
13 Bavaria, I think they only sampled surface waters. So I do  
14 not have specific data for groundwater or for drinking water  
15 in this case.

16           MS. DOHERTY: Thank you.

17           MR. LOPEZ: Any other questions for Professor  
18 Reemtsma from the audience?

19           Thank you so much for your presentation,  
20 Professor.

21           MR. REEMTSMA: You're welcome. Goodbye. Thank  
22 you.

23           MR. LOPEZ: Thank you.

24           MS. DOHERTY: Thank you.

25           MR. PALMER: Thank you.

1 MR. LOPEZ: So we will now hear the -- we will now  
2 hear from Division Engineer of the Reuse and Compliance of  
3 Sanitation Districts of Los Angeles County, Ann Heil.

4 MS. HEIL: Heil.

5 MR. LOPEZ: Heil.

6 MS. HEIL: Are you going to put it up, this slide?  
7 Well, good morning. There we go. All right. Thank you for  
8 that introduction. Today, I'm going to be talking about the  
9 Sanitation District's experience with 1,4-dioxane.

10 There's that. Oh, do I do slides here?

11 MS. DOHERTY: Yes.

12 MS. HEIL: Oh, look at that. Okay. Where do I  
13 point to? Oh, there we go.

14 So I'm going to cover three topics today. I'm  
15 going to just start, for those of you not familiar with our  
16 agency, with a little bit of an overview of the Sanitation  
17 Districts. Then I'm going to talk about the 1,4-dioxane  
18 regulations and how they impact us. And then I want to go  
19 over the data that we've collected to date on 1,4-dioxane.

20 So the L.A. County Sanitation Districts operate a  
21 very large interconnected wastewater treatment system in  
22 L.A. County. We serve about half of L.A. County and have a  
23 service area that includes about 5 million people. And as  
24 part of our system we treat about 400 million gallons per  
25 day of wastewater at 11 different wastewater treatment

1 plants throughout the county.

2           So our mission is to take that wastewater that's  
3 coming into our system and turn it into valuable products.  
4 We make recycled water from it. We collect the gases that  
5 are given off during the treatment process and we make  
6 energy from it. And then for the solids product that's left  
7 over at the end, we make that into fertilizers and different  
8 soil amendments. So our entire system is structured in  
9 order to maximize production of recycled water.

10           We have several different interconnected area, one  
11 -- is there a little light on it? -- one at the main part of  
12 the L.A. Basin down here, and then one up in the Santa  
13 Clarita Valley, and then one up in the Antelope Valley.

14           So what we did when we grew the system was to  
15 put -- we started with one main treatment plant at the low  
16 spot in the L.A. Basin. And then as the system grew we put  
17 these satellite treatment facilities in, in order to produce  
18 recycled water near the area where it can be best used by  
19 our consumers, so 10 of our 11 plants are specifically  
20 designed in order to produce recycled water.

21           We're one of the largest suppliers of recycled  
22 water in the country. And this recycled water has become a  
23 very important supplement to local water supplies,  
24 particularly during drought periods. So we have a mature  
25 recycled water program that sends water directly to over 800

1 sites. And we recycle over 100,000 acre feet per year of  
2 water.

3           The highest volume of recycled water goes to  
4 groundwater recharge, although we do also send it for other  
5 things, like irrigation, industrial uses and agricultural  
6 uses, and maintaining environmental habitat. So this shows  
7 some of our biggest projects that we've got. We've got two  
8 existing recycled water projects for groundwater recharge  
9 and two that are in development right now.

10           The one shown, Montebello Forebay, is our oldest  
11 and largest project right now. It was brought online way  
12 back in 1962. So what we do with this project, it's  
13 actually very sustainable, the water from the treatment  
14 plant just behind our building, and several other treatment  
15 plants, flows by gravity down the river to spreading basins.  
16 And the water receives additional treatment in the spreading  
17 basins as it percolates down through the basins. And we  
18 call that soil aquifer treatment. So you don't have to add  
19 more chemicals, you don't have to add energy, just let the  
20 water flow. Nature does its work and we get good clean  
21 recycled water out of that.

22           The one on the right on this slide is our Vander  
23 Lans Water Treatment Facility. And in this case we apply,  
24 in partnership with the Water Replenishment District,  
25 advance treatment to the water consisting of

1 microfiltration, reverse osmosis, and advance oxidation. And  
2 then the water is injected directly into the groundwater.  
3 So this is very equivalent -- Mark Kawamoto is going to talk  
4 about what they do down in Orange County with their system.

5           And then at the bottom of the slide is one of our  
6 new projects that we're working on and this is a partnership  
7 with the Metropolitan Water District. And we are working  
8 with them on a project that will provide up to 150 million  
9 gallons a day, so about 160,000 acre feet per year of water  
10 that would receive advance treatment and then be distributed  
11 to groundwater basins around the basin. So this picture is  
12 just a demonstration project. It's a half-million gallon a  
13 day demonstration project to demonstrate the technology.  
14 And that, we're just wrapping up construction on that and  
15 hope to bring it online later this year.

16           So the reason we care about 1,4-dioxane is that  
17 it's regulated in our groundwater recharge projects. And  
18 the speaker before me talked a little bit about this  
19 partially closed water cycle and that definitely comes down  
20 into play down here in the Los Angeles Basin. So there are  
21 regulations for groundwater recharge using recycled water in  
22 California. Those were formalized about five years ago.  
23 And if you're going to do subsurface injection, like I  
24 showed with the Vander Lans Plant, or that Orange County  
25 does, there are specific requirements in the regulation to

1 remove 1,4-dioxane.

2           There's a whole set of elements in the regulations  
3 all about 1,4-dioxane. And the reason for this is it's not  
4 removed, as Anne Cooper said, biologically, and it also  
5 slips right through reverse osmosis membranes which take out  
6 almost everything in the water. So those regulations  
7 require a half-log removal which means about 69 percent of  
8 the 1,4-dioxane present in the water has to be removed  
9 during that treatment. So not only do you have to put an  
10 extra treatment to remove the 1,4-dioxane, there's  
11 monitoring. You have to demonstrate that your unit is  
12 operating properly, you have to do challenge tests, that  
13 sort of thing. So it's very expensive to add this  
14 additional layer of treatment onto it.

15           And then for our projects that do surface  
16 application the standard is meeting the California  
17 notification level of one microgram per liter. If you're  
18 doing a subsurface injection project, you have to meet that  
19 at end of pipe. If you're doing surface spreading the  
20 regulations call for you to meet it in the recharge water  
21 after it's gone subsurface. But our current permits require  
22 us to meet that limit at end of pipe at our treatment  
23 plants. And then, of course, there's the EPA number of 0.35  
24 micrograms per liter that Anne Cooper mentioned.

25           So we began doing a lot of sampling of 1,4-dioxane

1 in the 2011 timeframe, which is right around the timeframe  
2 that notification level came into play, so we needed to  
3 understand it better and really characterize it because we  
4 had to meet these as a standard for our groundwater recharge  
5 plants. So we went out and we sampled at nine of our  
6 different wastewater treatment plants. The one you see on  
7 the far side, JWPCP, is our ocean discharging plant. So  
8 right now no recycled water is used at that plant. All that  
9 water goes out to the ocean. The other ones that you see  
10 listed are all water reclamation facilities producing  
11 recycled water.

12           And, you know, one of the interesting things about  
13 our system is we have so many different treatment plants  
14 that when we go and sample them all we can get a really  
15 quick and easy determination as to the nature of the  
16 sources. So if we see widely varying concentrations at our  
17 various treatment plants, that immediately points the finger  
18 at industries, so it's probably coming from one or two, a  
19 few, industries that are discharging high concentrations.

20           When we see similar concentrations across our  
21 treatment plants, that means that it's just the  
22 concentrations are driven by some sort of widely distributed  
23 source that's the same all around the basin. And for us  
24 that means households, potentially commercial applicators.  
25 So it's just an immediate fingerprint. We can go out, we

1 can run these initial samples and say, oh, we've got a very  
2 widespread problem. It's coming from sort of consumer  
3 product. Let's go try to track down where it's coming from.

4 So the one large industrial source that, at our  
5 Joint Water Pollution Control Plant, is a membrane  
6 manufacturer. And those are the known biggest wastewater  
7 sources of it. And I'm sure Mark from Orange County will  
8 talk about that when he follows us. So we have an eye on  
9 that one if we need to reduce concentrations at joint plant,  
10 we are looking at regulating them, but they put out enormous  
11 concentrations of 1,4-dioxane.

12 So let's take a harder look at our water  
13 reclamation plants now, once we can see it a little better  
14 now that we take off that big spike from our Joint Water  
15 Pollution Control Plan.

16 So this graph shows the concentration of 1,4-  
17 dioxane on the Y axis and then our different plants across  
18 the bottom. And then each different color is a different  
19 year. So if you look at our Long Beach plant, on the one  
20 end you've got the red and the green and the purple, so  
21 that's sort of a time series of it.

22 And so what you can see from this graph right away  
23 is that, again, even when we dial in we see very consistent  
24 concentrations across most of our treatment plants. It  
25 looks like for that one LC, that's our Los Coyotes Plant,

1 there may be a few industrial sources, more minor ones, at  
2 that plant, maybe a tiny bit at Long Beach. But again, we're  
3 seeing very, very consistent concentrations across our  
4 treatment plants.

5           And then another thing we did with this data is we  
6 didn't just look at the effluent from the plant, we looked  
7 at the concentrations of sewage coming into the plants.  
8 That's shown in the gray. We call that raw. And then the  
9 purple-ish blue is our primary treatment, so that's after  
10 just a gravity settling treatment step. The secondary  
11 treatment in the dark orange is after biological treatment  
12 where microorganisms eat the dissolved organic material in  
13 the water. And then the lighter orange is our tertiary  
14 water where the water goes through a filter after you're  
15 done.

16           And for each of these we have five of our  
17 different water reclamation plants here. And you can see  
18 that the concentrations are remarkably similar across the  
19 plants. We really aren't getting any removal through  
20 gravity treatment, biological treatment, filtration. The  
21 1,4-dioxane just isn't sticking to any of it.

22           Okay, and another way to look at our data is to do  
23 a time series. So what we're showing here is concentrations  
24 at our various water reclamation plants from 2011 until  
25 2018. And you can see that we're not really seeing a big

1 time trend on it but the concentrations bounce around a  
2 little bit, particularly at Los Coyotes where we think we  
3 have an industrial source, but, really, they're staying  
4 relatively steady over the time period that we've examined.

5           So here's a look at the water reclamation plants  
6 that feed our Montebello Forebay Groundwater Recharge  
7 Project, so that's our Pomona, our San Jose Creek which is  
8 the one out back here, we have two sides to it, east and  
9 west, and then our Whitter Narrows plant. And this shows  
10 the data for those plants from 2016, 2017 and 2018, as  
11 compared to that California notification level of one  
12 microgram per liter. And you can see that we're right on  
13 the edge of meeting that standard. It's actually rounded to  
14 one, so we actually have snuck under and we're meeting that  
15 number right now, but we're really right at the edge on  
16 meeting that number.

17           If the number drops down, it gets revisited by the  
18 water regulators to the EPA IRIS number, then we're going to  
19 have a problem. And this would necessitate adding  
20 additional treatment to all of our water reclamation plants  
21 and that would be at considerable cost to add that extra  
22 treatment step to these three water treatment plants --  
23 water reclamation plants. So we're nervous about 1,4-  
24 dioxane but hanging in there right now.

25           So here's the takeaway messages I've got.

1           1,4-dioxane is ubiquitous at our treatment plants,  
2 so we really believe there is some sort of cleaning products  
3 that are driving it.

4           1,4-dioxane is not removed through tertiary  
5 treatment. The concentrations are remaining relatively  
6 steady. We do have some industrial sources at some of our  
7 treatment plants.

8           We're right now right at the regulatory level in  
9 our Montebello Forebay plants. And if the regulatory  
10 standards go down, that would necessitate additional  
11 treatment at our water reclamation facilities.

12           So that's it. Thank you.

13           You want to take questions now?

14           MR. LOPEZ: Yeah. Yeah.

15           MS. WILLIAMS: So would you have to install AOP at  
16 all your plants if went down to the --

17           MS. HEIL: Yes, we would.

18           MS. WILLIAMS: Do you guys have costs for that?  
19 Have you figured that out yet?

20           MS. HEIL: No. We haven't costed that out yet.

21           MS. WILLIAMS: What's the total volume of the  
22 wastewater going through your plants?

23           MS. HEIL: The Pomona plant right now runs about  
24 eight, well, 8 to 10 MGD, San Jose Creek between the east  
25 and the west side runs about 60, 50 to 60 MGD, and Whittier

1 Narrows is running 8 to 10 MGD. And our Whittier Narrows  
2 plant does do disinfection with UV but you can see that  
3 that's not doing it.

4 MS. WILLIAMS: That's the AOP.

5 MS. HEIL: Yeah, it's the AOP. You'd have to add  
6 something to it.

7 MS. WILLIAMS: Have you guys talked to -- we just  
8 put in AOP systems for LAWP.

9 MS. HEIL: Where?

10 MS. WILLIAMS: Have you talked to them at all,  
11 like on what these costs would be on these volumes for AOP?

12 MS. HEIL: No. We haven't done that yet.

13 MR. O'KEEFE: Well, you have costs from Vander  
14 Lans. You can --

15 MS. HEIL: Yeah. Well, that has -- yeah, we  
16 could. We could.

17 MR. O'KEEFE: -- extrapolate on that.

18 MS. HEIL: Yeah. Yeah. We could ask. We could  
19 put in a design request to get a sense of that cost but  
20 hoping to not have to do it, so we haven't costed that out.  
21 It would be cheapest at Whittier Narrows because they've  
22 already got UV in, so presumably it would be easier to  
23 retrofit that to some sort of AOP process.

24 MR. RISOTTO: You mentioned reverse osmosis. How  
25 much of the -- how many plants are using that as treatment?

1 MS. HEIL: None of our water reclamation plants  
2 have reverse osmosis in place, just the Vander Lans plant is  
3 run by Water Replenishment District and they do the advance  
4 treatments specifically for that subsurface injection.

5 Okay, well, good. Thank you.

6 MR. LOPEZ: Thank you, Ann.

7 So now we will be hearing the presentation of  
8 Engineering Supervisor of the Resource Protection Division  
9 of Orange County Sanitation District, Mr. Mark Kawamoto.

10 MR. KAWAMOTO: Good morning everyone. Thank you  
11 for having the Orange County Sanitation District here. So  
12 I'm here to tell you today about our story about 1,4-  
13 dioxane. And I'll say, it dovetails very well into Anne's  
14 presentation, as well, so it was not a coordinated effort,  
15 it's our story.

16 Similarly, I'll start with a brief overview.

17 For those of you who are not aware about the  
18 Orange County Sanitation District, the Orange County  
19 Sanitation District, unlike our name, actually only serves  
20 the north and central Orange County. So south Orange County  
21 would be below this Irvine area. We have two main  
22 reclamation and two facilities. One is -- plant number one  
23 is the reclamation facility. It's right next door to the  
24 Orange County Water District where GWR is located. And we  
25 also have a treatment facility closer to the beach and

1 that's our Huntington Beach facility.

2           So this is what we would say is our service area.  
3 However, we have agreements in place with other agencies, so  
4 we actually provide service that goes throughout the whole  
5 Santa Ana Watershed because there's a brine line that goes  
6 into the Inland Empire area, plus we do receive waste  
7 hauling waste from SOCWA, which is south, in the south  
8 Orange County area. We do the pretreatment program for  
9 IRWD. And actually on the border with L.A. County  
10 Sanitation District there are some flows that crisscross on  
11 the edge there. So in total the area that we serve is much  
12 greater than our technical service area.

13           So one of the things that we're known for is our  
14 partnership with the Orange County Water District. So  
15 together we jointly implement the groundwater replenishment  
16 system, so we're currently at 100 million gallons of water  
17 that's being recycled per day. We're on our way up to 130  
18 million gallons. And you can see at the bottom of the slide  
19 the typical treatment process for the GWRS, the groundwater  
20 replenishment system. So we do the microfiltration, the  
21 reverse osmosis, and then the ultraviolet light plus  
22 hydrogen peroxide is what we call advance oxidation.

23           Okay, so I'm in what's often called the  
24 Pretreatment Program. Technically, what the Pretreatment  
25 Program was created for was to help manage sources of

1 pollutants before they entered the sewer. The traditional  
2 Pretreatment Program was particularly targeted at specific  
3 industrial users. But with the advent of the groundwater  
4 replenishment system, OCSD made a decision that it  
5 understood that there may be other sources of contaminants  
6 that we would have to deal with that are beyond what we  
7 would normally control through the Pretreatment Program.

8           So that's where the Non-Industrial Source Control  
9 Program comes into play. And that's the particular group  
10 that I'm in and I'm overseeing. But as you can see, so we  
11 understood that in addition to certain kinds of industries,  
12 there's a bunch of other industries that are not covered  
13 under the traditional Pretreatment Program, plus the  
14 residential and commercial dischargers. So there's some  
15 examples of some of the pollutants that are sent in from  
16 those various industry types or various groups.

17           So here's the heart of what I want to show you  
18 today. So I'm going to show you this slide and it looks  
19 very, very busy, but I'm going to step you through this  
20 story of how we chased down 1,4-dioxane. So let me start  
21 with a few orientation remarks first.

22           One, you notice the title slide is that this is  
23 the groundwater replenishment system GWRS Q1 point. It's  
24 the point at which the OCSD's treated secondary effluent is  
25 sent to GWRS, so it's GWRS' influent or our effluent to

1 them, so our treated effluent to them, okay? So that's what  
2 we're looking at. And so we're looking at 1,4-dioxane  
3 concentrations at that particular point.

4 For reference the second arrow shows you the  
5 Orange County Sanitation District and the Orange County  
6 Water District established a level of service, an LOS, of  
7 ten micrograms per liter, so that's the level that we are  
8 obligated, OCSD is obligated to send the water over. So as  
9 you can already see, we weren't always successful, at least  
10 at some point in time.

11 And then to reference back to the notification  
12 level, just for reference, at the bottom of the slide is the  
13 one microgram per liter notification level previously set by  
14 the California Department of Public Health and now the  
15 Division of Drinking Water.

16 Okay, so as you can see, GWRS started January  
17 2008. And as you can see, we were doing well for a while.  
18 Well, something started to happen in 2009 where you see the  
19 numbers start to spike a bit, especially when it goes over  
20 the level of service. But this, to me, is real data. There  
21 are some fluctuations.

22 Well, as we came into the 2011-2012 era, we see  
23 that now the spikes are happening more frequently and at a  
24 higher level. By the time we got to 2012, we have a very  
25 serious issue on hand that, over constantly exceeding our

1 level of services, and it's going higher and higher. So  
2 this -- at this point we start to hunt, what is causing this  
3 1,4-dioxane spikes?

4 I should mention that, up front, based on a rough  
5 calculation, we believe we were hunting for a total of 15  
6 pounds of 1,4-dioxane. So I have a colleague that basically  
7 puts it this way, it's a small wastepaper basket full of  
8 1,4-dioxane. That's how much we're trying to trace down in  
9 our system. Okay.

10 So here's how we approached it. As I mentioned,  
11 GWRS is fed by our reclamation plant number one. We have  
12 five main trunk lines that feed plant number one. And just  
13 to complicate things more, two of our trunks are actually  
14 intertied. So the New Hope and Euclid Trunks actually have  
15 interties in between them. So sometimes it's difficult to  
16 distinguish where the pollutant might be coming from or  
17 being discharged to.

18 But we started to sample in our trunks and we  
19 discovered that two particular trunks stuck out. One is our  
20 Sunflower Trunk where we estimated there were six pounds of  
21 1,4-dioxane being discharged. And at the Euclid-New Hope  
22 Trunk system, there was five pounds. So already we have a  
23 major amount of the 15 pounds we're looking for. Okay.

24 So understand the Pretreatment Program one of the  
25 things that we know to do is then -- I'm going to go

1 forward -- well, what are the potential sources of 1,4-  
2 dioxane?

3           So we have information on hand and so we consult  
4 our information. And we looked up and sure enough, as Ann  
5 mentioned, membrane manufacturers are a well-known source.  
6 They're also used for pharmaceuticals' manufacturing,  
7 pesticides, paper. It's also found in the personal care  
8 products previously mentioned.

9           So in the case of the Sunflower Trunk, we were  
10 immediately able -- we knew we had one on permit, so we  
11 sampled covertly there. And sure enough, we found that they  
12 were the ones discharging a large amount of 1,4-dioxane. So  
13 that took care of the Sunflower Trunk.

14           Now for the Euclid-New Hope Trunk lines, that was  
15 a little bit more intricate work. So we actually had to  
16 step up the trunk lines zone by zone, so we looked for key  
17 points where we could isolate the trunks and try to  
18 determine in which areas.

19           Meanwhile, we started to look and see, well, what  
20 kind of facilities are discharging in these areas? So there  
21 were several that stood out. There were other membrane  
22 manufacturers and distributors, a couple of electronics  
23 facilities, one metal finishing place, and one soap and  
24 detergent manufacturer.

25           So, unfortunately, at arrow number seven, we saw a

1 sudden drop in the concentration of 1,4-dioxane that we were  
2 able to detect. We believe at that point then our covert  
3 operations had been discovered or, at the very least, the  
4 word had gotten out and so people started to change their  
5 practices. So at that point we changed from covert  
6 operations to overt operations. We basically went onsite  
7 and we had conversations and we worked with these people.

8 Well, the good news is, after all that work, in  
9 the case of the membrane manufacturer, their first step was  
10 to stop discharging. So they basically did thermal  
11 destruction or, basically, evaporation of their wastewater  
12 so that it wasn't being sent to the sewer. Eventually they  
13 did a product substitution where they used a different  
14 chemical in lieu of 1,4-dioxane for their membrane  
15 manufacturing process.

16 Bottom line, as you can see, it was very steady,  
17 that we're now consistently under five micrograms per liter.  
18 I will say that you might be wondering, what happened since  
19 then? It's consistently been below three micrograms per  
20 liter, so we believe that, so far, that things are  
21 understand control.

22 So one of the tools we have to protect our  
23 facilities is in the pretreatment program, we can set local  
24 limits. So as it turns out with every NPDES permit cycle,  
25 we're required to do the technical evaluation of local

1 limits. And so, of course, one of the constituents we  
2 targeted was 1,4-dioxane.

3 In 2016, we adopted a new local limit for 1,4-  
4 dioxane, so I'm showing you the list here. As you can see,  
5 we set a local limit of one milligram per liter. This was a  
6 heroic effort because we went to a lot of efforts.  
7 Otherwise, if we did a uniform distribution the number would  
8 be much, much less than this. But for those places that are  
9 known to use or work with 1,4-dioxane, we set a one  
10 milligram per liter. And as you can see, the basis for the  
11 whole limit is to protect GWRS, in this case. Okay.

12 I will say, one of the important things here,  
13 also, with this slide is when we're doing the technical  
14 evaluation of local limits we determined that 80 percent of  
15 our influent was based on domestic discharges. For  
16 pretreatment programs, this is really bad news because what  
17 this means to us is, in our pretreatment program, this is  
18 uncontrollable. This is what everyday residents are using,  
19 so there's not much that we can do in a pretreatment world.

20 So we can try to do education and outreach. We  
21 can work with legislation and regulation. But that's why  
22 I'm happy that, you know, I want to support the Safer  
23 Consumer Products efforts. I've been a long-time advocate,  
24 just for this aspect, because there's certain things that  
25 wastewater treatment plants can't do, pretreatment programs

1 can't do. And this is where we need your help to help  
2 control 1,4-dioxane.

3 So in summary, I want to thank you very much very  
4 for the opportunity and for helping us work on 1,4-dioxane.  
5 You might be saying, does it really matter? Yes. Small  
6 quantities add up so small changes can have significant  
7 impacts.

8 Thank you very much.

9 MR. LOPEZ: Are there any questions?

10 MS. WILLIAMS: What kind of membranes were being  
11 manufactured?

12 MR. REEMTSMA: Would you believe it's the  
13 membranes that are used for reverse osmosis. It's very  
14 ironic.

15 MS. WILLIAMS: Totally.

16 MR. REEMTSMA: Right?

17 MS. WILLIAMS: Yeah.

18 MR. REEMTSMA: So 1,4-dioxane is used to help  
19 induce porosity of the membranes. So of all the things it  
20 allows through, 1,4-dioxane.

21 MS. WILLIAMS: The irony; right?

22 MR. REEMTSMA: Yes.

23 Anything else? Okay.

24 MR. LOPEZ: Thank you, Mark.

25 So at this time we will take a break of about ten

1 minutes.

2 I will also encourage you all, if you want to do a  
3 public comment, to take this time to grab a card and we can  
4 do that after the presentations are over.

5 (Off the record at 11:03 a.m.)

6 (On the record at 11:17 a.m.)

7 MR. LOPEZ: So are going to continue.

8 I know -- I've just been informed that there's a  
9 couple of questions that have been sent to the chat feature.  
10 Unfortunately, we're not able to check that. If you can  
11 please, if you're tuning in remotely, if you can please send  
12 those comments to saferconsumerproducts@dtsc.ca.gov so that  
13 we can answer those questions.

14 At this time I would like to invite Jeff O'Keefe,  
15 Chief of the Southern California Section, Division of  
16 Drinking Water of the State Water Resources Board -- Control  
17 Board.

18 MR. O'KEEFE: Hello. Yes, I'm Jeff O'Keefe. I'm  
19 with Division of Drinking Water. We call ourselves the DDW  
20 for short often. We were formally with the Department of  
21 Public Health, CDPH, and for about the last five years, we  
22 were moved over to the Water Board to align ourselves with  
23 the other programs that deal with water and wastewater. I'm  
24 located in our Glendale field office. We have field offices  
25 throughout the state. So my responsibility is regulatory

1 oversight for public water systems in L.A. County up to San  
2 Luis Obispo County.

3 I just want to acknowledge some of the sources I  
4 used today and some people that I borrowed from. Brian  
5 Bernados. It does say brain. He is a smart guy but that's  
6 a typo. But I borrowed from Water Board fact sheets, EPA  
7 fact sheets, and some people within our program helped with  
8 some of the information. I also got some information from  
9 the City of Los Angeles, from the City of Monterey Park, on  
10 a couple of the projects that they're working on right now  
11 to treat for 1,4-dioxane.

12 So I have the benefit of going fourth, is it, so a  
13 lot of what I have is a repeat. So, yes, I do want to point  
14 out, though, the use as a stabilizer in solvents or as a  
15 solvent because I do have some slides related to some  
16 groundwater remediation projects from that type of disposal.  
17 Present in a number of products, we've mentioned some of  
18 these consumer products before and some of these other  
19 industrial uses. And it's a byproduct of manufacturing of  
20 PET plastics, classified as possible human carcinogen, and  
21 it gets into the environment and it can be harmful to people  
22 by ingestion, inhalation and dermal exposure.

23 So there's properties that make it troubling in  
24 the environment when it reaches groundwater. It's very  
25 soluble. It migrates rapidly, relatively resistant to

1 bioremediation. It does not absorb onto the soil particles.  
2 And we see co-occurrence in some other volatile organic  
3 plumes from some industrial sites. And it sort of moves  
4 faster and expands more than the other chemicals. And it's  
5 difficult to treat because most typical groundwater  
6 treatment processes don't remove it. Like GAC, granulated  
7 activated carbon, air stripping, it doesn't remove it.

8           So I'm going to talk a little bit about the  
9 occurrence data and had some similar slides about the  
10 datasets.

11           We have voluntary monitoring, there's no formal  
12 monitoring requirements by California regulation, but we  
13 have some of that information. I have that in tabular form.  
14 It's fairly similar to the information previously presented.  
15 And we also have, from EPA, they do these periodic, what  
16 they call, unregulated chemical monitoring rules where they  
17 develop a candidates list and they do -- select areas  
18 throughout the state are required to monitor. And they use  
19 that for collecting occurrence data and helping them to make  
20 decisions on future drinking water regulations.

21           So from that dataset, about three percent  
22 nationally were detected above their EPA health advisory  
23 level, a little higher occurrence in California. And about  
24 seven percent of public water systems have at least one  
25 result that was over that level, that's national, and it was

1 also found in surface waters and groundwaters and, again, in  
2 wastewaters, as we've previously discussed.

3           So this table is just the voluntary data from the  
4 state's database. We see high amount of occurrence in Los  
5 Angeles with some of the higher concentrations detected, and  
6 Orange County coming in second. And we don't really -- and  
7 the difference between my slide and Anne's is I screened  
8 out, if it was like a single detection, I threw that away.  
9 It had to be confirmed more than one detection above the one  
10 part per billion microgram per liter level. And I screened  
11 out things that were not used for drinking water. We might  
12 have monitoring data that's not actual an active in-use  
13 drinking water source. But, you know, the numbers fairly  
14 correlate to Anne's occurrence information.

15           And this is a national map from the EPA  
16 Unregulated Chemical Monitoring Rule. And just to point  
17 out, they use very low detection limits for this monitoring  
18 requirement, much lower than the state's reporting limits.  
19 So I would want to just kind of focus on the yellow and the  
20 red areas. And what's interesting about this slide is there  
21 are some clustered areas in the Northeast, Mid-Atlantic and  
22 Southeast, and in Southern California where have the highest  
23 amount of occurrence. And I want to thank Eurofins Lab for  
24 this slide. This was a graphic prepared by Andy Eaton.

25           So just a little history of how -- what the

1 state's response has been.

2           We first detected it in groundwater in 1988. And  
3 shortly thereafter our toxicologist reviewed the available  
4 health information and we established a non-regulatory  
5 number called a notification level. That's a health-based  
6 guidance level. At that time the EPA health advisory was  
7 higher than it is currently, it was at three-and-a-half, so  
8 we established our state notification level at three in 1998  
9 and later revised it in 2010 when the EPA lowered their  
10 health advisory number. So at that time, in 2010, we  
11 lowered it to one microgram per liter.

12           So like I said, it's -- and notification level is  
13 a placeholder. It's used when there is a chemical of health  
14 concern that is lacking a formal enforceable standard  
15 maximum contaminate level. And it's set, typically, at a  
16 level that corresponds to a one-in-a-million theoretical  
17 cancer risk value.

18           We do have another value which is set a higher  
19 level where we recommend more immediate action. That's  
20 called a response level. It's typically for cancer-causing  
21 chemicals. It's set at 100 times the notification level.  
22 In this case it's set at 35 micrograms per liter. And we  
23 don't have any drinking water sources in the state that are  
24 above that value that are in use.

25           More recently, this year, we are now starting what

1 might be the beginning part of a formal rulemaking process  
2 to establish a maximum contaminant level. And the first  
3 step is through our sister agency, the Office of  
4 Environmental Health Hazard Assessment, through CalEPA.  
5 They have to review all the literature, all the available  
6 health information, health studies, and they establish  
7 what's called a public health goal. Now often it would  
8 match the EPA's one-in-a-million cancer risk value for  
9 cancer-causing chemicals. But they're just beginning that  
10 process. It may take one or two years for them to complete  
11 that and that has to go out through a public review process.

12           But once that is established that would be sort of  
13 the starting point of where my program makes a decision on  
14 proceeding with the formal rulemaking process to establish a  
15 maximum contaminant level. And we have to consider factors,  
16 like whether there's technology capable of removing it in  
17 drinking water, what the costs associated with that, and are  
18 there labs that are capable of analyzing it?

19           Just a quick mention, there's no federal MCL. The  
20 EPA, after each UCMR round, they're supposed to do what's  
21 called a regulatory determination where they determine, is  
22 there high enough occurrence? Is it widespread throughout  
23 the nation? And would there be a meaningful health risk  
24 reduction by regulating that chemical? EPA has not made the  
25 decision on 1,4-dioxane yet. And they're in the process of

1 doing that for PFOS and PFOA, which was also part of the  
2 same round of monitoring.

3 And from the UCMR 1, EPA made a regulatory  
4 determination to regulate perchlorate and they have not yet  
5 formally finished that process, they're just now out for the  
6 comment on a range of potential MCLs, so this is a slow  
7 process.

8 So lacking a federal number, many state's  
9 toxicologists review the literature and they come up with  
10 their own values of what they think is considered to be a  
11 safe level in drinking water. As you can see, they vary  
12 quite a bit, and we're seeing this repeat with the PFAS  
13 chemicals, where each state has a different interpretation  
14 of the literature. Many of them are close to the EPA health  
15 advisory. But Alaska's is as high as 77. I'm not sure how  
16 they developed that number.

17 So I'm going to talk first, the next couple of  
18 slides, about the drinking water treatment projects. And  
19 then I'm going to switch gears and talk a little bit about  
20 the wastewater reuse projects.

21 So we haven't yet talked, really, about another  
22 big source that has impacted drinking water, that is these  
23 contaminant plumes from -- that are present at a number of  
24 EPA Superfund sites, the EPA-managed cleanups, and they have  
25 impacted drinking water. They have higher -- tend to have

1 higher concentrations than, you know, what might be  
2 influenced from wastewater. And it's present in the San  
3 Fernando Valley. These are all L.A. areas, San Gabriel  
4 Valley.

5           We have a number of projects that have already  
6 been completed. These are very complex treatment plants  
7 that are addressing multiple chemicals, multiple volatile  
8 organics, perchlorate, the nitrosamines, and also 1,4-  
9 dioxane. Not all of them have all of those but many of  
10 these sites are treating for all those chemicals through  
11 multiple treatment processes.

12           The next couple of slides will be about current,  
13 two projects we're currently reviewing or in the permitting  
14 stage, that's the Los Angeles Department of Water and  
15 Power's North Hollywood Plant and the City of Monterey Park  
16 Plant that's in the South El Monte operable unit, not too  
17 far from this location.

18           So this is a plume map of the 1,4-dioxane in the  
19 San Fernando Basin. The City of Los Angeles has several  
20 wells just on the leading edge of that plume. And as part  
21 of sort of multiple efforts there will be some source  
22 remediation that will not be used for drinking water. And  
23 there will be sort to this containment system that is  
24 treated and used for drinking water. And we'll also protect  
25 down-gradient wells from also being impacted.

1           So the treatment process that L.A. is using is  
2 advance oxidation, UV AOP with peroxide addition. And since  
3 the process is capable of removing multiple volatile  
4 organics, plus 1,4-dioxane at the same time, you know,  
5 there's, you know, site-specific design parameters,  
6 depending on what's in the water. This is very different  
7 than the water that Orange County or L.A. County San is  
8 treating.

9           And then since you add a very high dose of  
10 peroxide and there's excess leaving the process you have to  
11 have a secondary process called GAC, carbon filtration, that  
12 will remove the excess peroxide and, also, is an additional  
13 barrier that can remove any, maybe, low-level volatile  
14 organics that might be present. It's just more of a  
15 reliability feature for the organics. And then it will go  
16 out to the distribution system.

17           This is Monterey Park's project. You know,  
18 these -- not a lot to look at. It looks like a pipe. You  
19 know, these -- the UV lamps are inside that pipe. And  
20 there's a peroxide addition and it's added right to the  
21 pipe. It mixes through the turbulent flow in the pipeline.  
22 And the UV and the peroxide react together and form the  
23 radicals that reduce the concentrations of the organics and  
24 the 1,4-dioxane.

25           So this Monterey Park project is treating for

1 multiple volatile organics and 1,4-dioxane, fairly,  
2 moderately low levels of 1,4-dioxane. It can be as high as  
3 five micrograms per liter. And they've completed some  
4 testing to demonstrate that you have complete reduction of  
5 all these chemicals through the process.

6           So they've demonstrated you can use this process  
7 to address multiple chemicals at once. But, you know, one  
8 thing is the peroxide dosages that these type of projects  
9 use versus the wastewater projects is you have to use a much  
10 higher peroxide dose, which means you need this carbon  
11 filtration step afterwards. And if, you know, there was a  
12 project where we didn't have to use that high of a peroxide  
13 dose, there's an easier way to quench the excess peroxide by  
14 just adding chlorine that will react with the peroxide and  
15 remove it.

16           So, like I said, these projects are very site  
17 specific. They're, you know, very involved with the design  
18 phase. And you have to look at what's in the water. Now  
19 remember, this water isn't first going to reverse osmosis,  
20 so it's definitely a different water quality than Orange  
21 County and L.A. County San. And things like total  
22 alkalinity bicarbonate, any kind of color in the water from  
23 organics, any chloramine, TOC, these things will sort of  
24 interfere with the production of the hydroxyl radicals and  
25 will compete for removal with the other things that you're

1 trying to treat for.

2 I have a couple numbers for costs just for these  
3 two current projects we're working on. North Hollywood's  
4 project, it's a fairly high-flow plant for a groundwater  
5 treatment plant. It's going to cost \$21 million. They have  
6 even a larger-scale plant in the planning phases, Rinaldi-  
7 Toluca. That's going to be, you know, \$36 to \$36 million.  
8 And Monterey Park, they had the benefit of having a  
9 developed site that already had treatment facilities, they  
10 already had carbon vessels there, so they had some cost  
11 savings there and their project was a lot lower.

12 I was reading, Long Island has 1,4-dioxane present  
13 in their groundwater sources too. And I saw some numbers.  
14 They're building a plant that's going to cost about \$4  
15 million.

16 So these costs vary depending on how many reactors  
17 you need and what's the influent water quality.

18 But you're not done. Once you build it you then  
19 have to operate it and maintain it. And these plants are  
20 very expensive to run. They use a lot of energy. These UV  
21 lamps are higher -- the newer lamps are less energy  
22 intensive but, generally speaking, the energy costs and the  
23 chemical costs, the peroxide, is very expensive to operate.  
24 And I don't have values for that but that's certainly  
25 something that we need to consider. When a water utility is

1 building a plant, they need to make sure that they have  
2 water rates that are able to sustain the system that they  
3 can pay for the operations of.

4           So AOP works. We know that. We have some pretty  
5 good track record on these nine-or-so plants but, you know,  
6 it needs to be pilot tested. We need to demonstrate it at,  
7 start up and demonstrate that it's effective.

8           So switching gears, I'm going to talk a little bit  
9 about reuse. And some of this was covered by Ann Heil from  
10 the L.A. County San District but I just want to go over the  
11 history.

12           We had many versions of a draft groundwater  
13 recharge and replenishment regulation. These are the  
14 regulations that we currently adopted in 2014. But, you  
15 know, we were sort of on the leading edge in the nation of  
16 how to develop criteria to make sure that these projects are  
17 safe and don't have some unintended consequences. And in an  
18 earlier draft we weren't aware that 1,4-dioxane would be a  
19 problem. Orange County had done some sampling of their  
20 drinking water sources.

21           In the early 2000s they found it. And then Orange  
22 County San District and Orange County Water District worked  
23 together, worked with the state, and worked on a strategy to  
24 address it. And then we then subsequently changed our draft  
25 regulations to include what's called full advance treatment

1 for the subsurface injection projects to include reverse  
2 osmosis and advance oxidation.

3           Subsequent to that we have a new set of  
4 regulations called the Surface Water Augmentation  
5 Regulations and these requirements would apply to that type  
6 of project. And I don't intend to, you know, give you a  
7 lecture on the process but I have a few slides that talks  
8 about the process. So the full advance treatment includes  
9 the reverse osmosis and the AOP. The AOP is good for the  
10 NDMA reduction, which can also be present in the treatment  
11 process, but it's also good for the 1,4-dioxane reduction.  
12 And it's a good barrier for low molecular weight. Chemicals  
13 that pass through the reverse osmosis process. So even  
14 though we know it's removing 1,4-dioxane, it may be removing  
15 things that are unknown also.

16           So I think it covered this, R.O. can remove the  
17 larger molecules but not the smaller molecules, like 1,4-  
18 dioxane and NDMA. These have fairly low molecular weights,  
19 so that's why the advance oxidation process is effective at  
20 these lower molecular rates.

21           Ann did cover this. We do have requirements to  
22 meet the -- to meet all MCLs and notification levels for  
23 that degradation to the aquifer. And 1,4-dioxane is a good  
24 indicator for other organics, other unknowns, other  
25 chemicals of emerging concern, and it's a good indicator for

1 that.

2           So I'm not an expert on this but the peroxide and  
3 the presence of the UV light forms the hydroxyl radicals and  
4 that's what is reducing these organic molecules. We have a  
5 lot of information from Orange County Water District, and  
6 now the Vander Lans Plant at L.A. County San. But there's  
7 some new studies going on to use an alternative to peroxide  
8 that we're still learning more about that's using free  
9 chlorine, in addition to the UV, rather than the peroxide  
10 and UV. So we're still learning more about that but that's  
11 also showing promise and it will be cheaper to operate.

12           So the dosages is now -- we're now at the point  
13 where we're trying to optimize and reduce the costs and  
14 determine the best dosage. It's very difficult to really  
15 quantify. One of the vendors has some algorithms that  
16 they're working on that will help kind of optimize the  
17 dosage. That's still not finalized yet but we're working  
18 with industry on that. But typically the dose is about  
19 three parts per million or milligrams per liter, compared to  
20 the drinking water treatment which is a much higher dose.

21           This is my last slide. So this just talks about  
22 what is the requirement of these reuse projects to what is  
23 the removal requirement and what is the demonstration test  
24 requirement, and what's the ongoing monitoring requirement.

25           So there's a spike test. They have to show half

1 of all reduction through the process and establish the  
2 operating parameters at which the plant will operate, that's  
3 typically using a UV dose and a peroxide dose, a power-type  
4 dose, and those are monitored continuously to ensure that  
5 the process is working effectively.

6 And then at the water produced, there's also a  
7 quarterly monitoring requirement to confirm that the MCLs  
8 and the NLs are met.

9 I just have a few links to some references that I  
10 thought were very worthwhile. The GAMA fact sheet was in  
11 the back of the room. That was one of the handouts. I  
12 think so. And these others are not in the back of the room  
13 but we have a webpage where a lot of the information from  
14 our slides comes from without the history of the state's  
15 notification level. And EPA has a technical fact sheet  
16 that's also very worthwhile checking out.

17 Any questions? Yes?

18 MR. RISOTTO: Jeff, one of the concerns I've heard  
19 about the AOP process is the potential to generate some  
20 oxidation byproducts.

21 MR. O'KEEFE: Correct.

22 MR. RISOTTO: Have you -- are you sort of finding  
23 anything? Is just the activated carbon deal with that or  
24 are there other issue, anything that may be an indication  
25 that you've listed in the projects you've done?

1           MR. O'KEEFE: Yes. Well, we're still learning on  
2 that. A lot of the San Gabriel projects are using the UV at  
3 the tail-end of the treatment process after the volatile  
4 organics are removed, but now there's -- so there's a less  
5 likelihood of byproduct formation. But for the North  
6 Hollywood and the Monterey Park projects, yes, there was  
7 some studies done during the demonstration testing to  
8 determine what forms during the process and what happens  
9 after carbon filtration.

10           And, yes, there are a couple things, you know,  
11 haloacetic acids, which is present in nearly every water  
12 supply because of disinfection, is present. But there is  
13 also a couple aldehydes that are present. And the  
14 literature does show that glyoxal is potentially formed. We  
15 didn't see it at these projects. But the aldehydes are  
16 removed, acetaldehyde and formaldehyde can be formed. And  
17 so you have to make sure you have an effective barriers to  
18 remove that post treatment.

19           Okay. Thank you.

20           MR. LOPEZ: Thank you, Jeff.

21           I would like to invite Jane Williams, Executive  
22 Director of the California Communities Against Toxics.

23           MS. WILLIAMS: Good morning. It's still morning.  
24 Thank you for inviting me to speak. I work quite a bit on  
25 drinking water and groundwater in Los Angeles. And some of

1 the points in here have already been covered, so I'm just  
2 going to flip very quickly through these slides, the ones  
3 that have already covered.

4           So this chemical is similar to some of these other  
5 chemicals that we're struggling with here in Southern  
6 California in that they like water and they tend to get in  
7 water no matter where they are, whether they're in a  
8 consumer product, whether they're in an industrial  
9 discharge, whether they're a source, say an old landfill or  
10 an old industrial site that was pre-RCRA. So that's -- this  
11 chemical is just one of many chemicals that we are very  
12 concerned about they are water-loving.

13           The remarkable thing about this chemical is that  
14 one of the seminal studies that the numbers that we're  
15 looking at is based on this study that was done before I was  
16 born, okay? So, you know, this is not like, wow, we figured  
17 out this chemical is really toxic all of a sudden. No,  
18 actually, we've known that it was toxic for a long time.

19           Here's the same chart that Jeff had. So I'm just  
20 going to -- here's the same map that someone else had. So  
21 very interesting, when we look at these maps for PFAS, TCE,  
22 PCE, perchlorate, all these chemicals that we are, you know,  
23 working on we see a similar pattern in Southern California,  
24 which is no bueno from an environmental justice perspective.

25           L.A. So this is the problem, this is the

1 environmental problem, if you look at these water companies  
2 and where they are and you look at CalEnviroScreen, and then  
3 you look at systems that are under 10,000, you will begin to  
4 see a picture where the communities that are going to be  
5 least able to pay for treatment for the contaminant is where  
6 the burden is going to be concentrated. And that is not  
7 just a problem with 1,4-dioxane. It's a problem with  
8 solvents. It's a problem with PFAS. And there's probably a  
9 bunch of other chemicals that we're not regulating yet that  
10 we're going to find out in the future that we should be  
11 regulating. And so the burden is being concentrated in the  
12 communities that are least able to bear it.

13           Ironically, many of these communities are either  
14 the Exide-impacted communities, or they're in Cristina  
15 Garcia's district, who's carrying the PFAS Notification  
16 Bill.

17           So this issue of notification is very important  
18 because as I go around the state and I talk to people about  
19 groundwater and drinking water, even people who are fairly  
20 plugged into what's going on, most people do not read their  
21 consumer reports, most people do not know the difference  
22 between a notification limit, a PHG, an MCL, and I'm talking  
23 even senior staffers in the legislature. So this whole  
24 thing about how we're regulating water is a sort of  
25 mysticism to them.

1           So I'm talking to you, Jeff. You may understand  
2 it but a lot of other people don't.

3           These issues of the lack of regulation by USEPA in  
4 setting federal standards. So USEPA has not issued a new  
5 MCL for over two decades. I actually petitioned USEPA to  
6 set an MCL and regulate perchlorate before my son was born,  
7 now he turned 18, and they have just now gotten their acts  
8 together to say, we should do something about perchlorate.  
9 Now if I had put up a map on perchlorate, you would see that  
10 we have entire groundwater aquifers in Southern California  
11 that have been abandoned, essentially, because of  
12 perchlorate contamination.

13           And so now when you add the 1,4-dioxane  
14 contamination, and you're going to PFAS on there, and you're  
15 going to add the solvents on there, I'll just keep saying  
16 this over and over again, in Southern California, we have a  
17 huge problem.

18           You can see the states are acting, you know, in  
19 different ways to resolve this issue of a lack of federal  
20 standard setting.

21           So I applaud the Safer Consumer Products Division  
22 of DTSC because you are actually getting at the problem  
23 upstream from there I see it. And I just want to reiterate  
24 to you how important that is.

25           It's relatively easy for one of our colleagues

1 that are at a sanitation agency, or our friends at DWRD, or  
2 OCW, those guys can track down industrial sources. But what  
3 you heard the one gentleman say, in the back, was 80 percent  
4 is coming from consumer products. And when we get into PFAS  
5 we're going to be looking at a similar type of pattern, so  
6 we really need to get ahead the curve. And the only way to  
7 get ahead of the curve is to really attack the sources.

8           The irony of this problem, which, let me just get  
9 to this last slide, here's the irony of the problem that I  
10 want to point out in this workshop, is that USEPA has a  
11 program that allows the production and release of chemicals  
12 into the environment in the United States. It is supposed  
13 to be -- it was basically supposed to solve the problems  
14 that PCBs were -- that PCBs created; right? PCBs were  
15 produced. They were in consumer products. They were in the  
16 environment. And everyone figured out, oh, my gosh, you  
17 know, they're super persistent, they're mobile in the  
18 environment, and they're toxic.

19           And so TSCA was passed in 1976 and it was the  
20 political solution to get at this problem. But here we are,  
21 almost at 2020, and we clearly haven't gotten at the problem  
22 because now, if you go and actually did non-targeted  
23 analysis of drinking water in Southern California you're  
24 going to find a host of chemicals, not just 1,4-dioxane, not  
25 just perchlorate, not just PFAS, you're going to find

1 hundreds of chemicals that, as we learn more about the  
2 toxicity and the -- of drinking -- of what's in our drinking  
3 water and we look at the patterns of disease and these  
4 activities on these different systems, we're going to say,  
5 why didn't we get ahead of the problem? Why didn't  
6 California say to itself, drinking water and our water  
7 resources are so important that we need to restrict some  
8 chemicals used?

9           And, oh, by the way, I almost forgot, we actually  
10 did that. It's called the Porter-Cologne Act; right?

11           And Jeff has been to a number of groundwater  
12 convenings that we've held. And I always start off with the  
13 same thing. Did you know that at the turn of the last  
14 century there were two capital offenses in California, only  
15 two? The one, my favorite, was stealing a man's horse.  
16 Because most people who love me know I love horses. I  
17 rescue horses and I have horses; right? The second one was  
18 poisoning someone's well. Those were the only two capital  
19 offenses in 1899.

20           And we went from there to here where I could, you  
21 know, put up maps of here's perchlorate contaminated  
22 aquifers, here's 1,4-dioxane, now it's going to be the PFAS.  
23 And it's like how did we go in 100 years from one to the  
24 other?

25           So I just want to conclude by saying I applaud you

1 guys getting ahead of this problem, looking at these in  
2 consumer projects, and I encourage you to look at your Safer  
3 Consumer Products through this lens of not only, like you  
4 did with the PFAS and the carpets, of protecting kids'  
5 health, but also looking very carefully and clearly that  
6 what are some of these chemicals that we know are getting  
7 into drinking water and we know are persistent and are toxic  
8 already.

9           This chemical is very interesting to me because we  
10 knew it was toxic before I was born and we didn't do  
11 anything about it.

12           So thank you so much for the opportunity to speak.  
13 And thank you to all the presenters who came before me,  
14 where I did not have to fill in all these great details. I  
15 could just more editorialize on the bigger, larger problem.

16           Thank you.

17           MR. LOPEZ: Do I have any questions?

18           Thank you, Jane.

19           I would like to know invite Senior Policy  
20 Strategist of the Breast Cancer Prevention Partners, Nancy  
21 Buermeyer.

22           MS. BUERMEYER: Thank you so much. And I will  
23 start by apologizing for not actually having a PowerPoint. I  
24 didn't have a chance to put one together, so you'll have to  
25 bear with me and just listen to me talk.

1           So thank you very much for the opportunity to come  
2 down and speak to you all. I did come down from Oakland  
3 this morning.

4           Let me just first introduce you to the Breast  
5 Cancer Prevention Partners. We're a national organization  
6 located in San Francisco. As our name suggests, we work to  
7 prevent breast cancer by chemicals linked to the environment  
8 out of consumer products and our communities. We do that  
9 based on a sound foundation of science, of the peer-reviewed  
10 science, to identify those chemicals. And then through  
11 policy, market campaigns and public education, we work to  
12 address those issues.

13           We are also one of the founding members and the  
14 current host of the Campaign for Safe Cosmetics. And as  
15 many of you may know, cosmetics is a term that actually does  
16 incorporate personal care products in the federal  
17 definition, and it just sounded better than Campaign for  
18 Safe Personal Care Products, so -- and the Campaign is a  
19 coalition of organizations and responsible businesses that  
20 are working to take toxic chemicals that linked to cancer,  
21 birth defects, neurotoxicity and other reproductive toxicity  
22 out of personal care products and cosmetics. And in that  
23 goal we have been concerned about 1,4-dioxane for a very  
24 long time.

25           So you've heard a lot about 1,4-dioxane in water.

1 And I'm going to talk about it consumer products and one of  
2 the major sources, as we heard, for the contamination in the  
3 water. Because it turns out if you don't put it in the  
4 water, you all don't have the same trouble getting it out  
5 that you currently do.

6 We have a little applause in the back. Thank you.

7 So again, you've heard a little bit about the  
8 health impacts. The last slide that Jane had up was kind of  
9 person. It's a carcinogen. And depending on who you talk  
10 to it has various levels of likely, possible, probable,  
11 known to the state of California. Trust us, it's a bad  
12 chemical. It's linked to liver and nasal cavity cancers.  
13 It's general kidney and liver toxicity. And there is  
14 evidence that it promotes formation of mammary gland tumors  
15 in rodents, so it's a big concern for breast cancer, so  
16 that's why we care about it.

17 It is formed in products through a process called  
18 ethoxylation. And that process helps to reduce the  
19 harshness of chemicals in personal care products and  
20 cleaning products.

21 The specific ingredients, again, you saw a couple  
22 of different charts of the kinds of ingredients that are  
23 likely to be contaminated with 1,4-dioxane, sodium laureth  
24 sulfate, the PEGs, oleths, there's a couple of different  
25 phrases or clauses you should look for in the number of

1 chemicals on your personal care products. You won't know  
2 that about cleaning products until next year because they  
3 don't have to disclose cleaning product ingredients until  
4 California passed a law that says they have to do it as of  
5 2020, so stay tuned on that one.

6 And it's found in a variety of different kind of  
7 products, so lotions, shampoos, body washes, liquid and hand  
8 soaps, bubble baths, hair relaxers, sun blocks, and then  
9 various cleaning products.

10 You can be exposed through inhalation, ingestion,  
11 whether through water or food, and absorption through the  
12 skin which, obviously, is important for things like lotions  
13 that you put on your skin and leave there.

14 And, of course, we're not exposed to just one  
15 source of the chemical at a time. We all use multiple  
16 personal care products every day, sometimes slathering it on  
17 our body and leaving it there, sometimes rinsing it off and  
18 making sure all that dioxane goes into your water systems.  
19 You're welcome.

20 Cleaning products, we don't -- most of us don't  
21 use it every day but there are communities that do.  
22 Domestic workers, janitors, hotel workers work with these  
23 products day in and day out, often without a lot of control  
24 about which products they use. So again, those folks who  
25 are mostly woman and mostly woman of color, so it's an

1 environmental justice issue around that.

2           And then, of course, we're all exposed to the  
3 environmental sources, so the water that we've been talking  
4 about all day today.

5           The EPA has a program called the Toxic Release  
6 Inventory which tells us something about the amount of a  
7 chemical that's released into the environment. It's not a  
8 complete list because you have to hit a certain threshold  
9 before you have to report. But even given that, they  
10 estimate that 4.2 million pounds of this stuff is released  
11 into the environment. And that, again, doesn't include the  
12 exposures that you'll get from personal care products and  
13 cleaning products. That's a lot of a toxic that's out in  
14 the world.

15           So we've actually done some -- you know, we've  
16 talked about the chemicals you might look for, the  
17 ingredients you might look for that suggest there might be  
18 1,4-dioxane. But there's also been a fair amount of or  
19 several product testing projects or research projects that  
20 have shown that, in fact, the chemical is there.

21           There was a study done in 2007 of a couple of Tide  
22 products that found 63 and 89 parts per million in two  
23 different Tide products.

24           In 2007 the Organic Consumer Association tested a  
25 bunch of products that were labeled as organic or natural.

1 Of course, the FDA doesn't actually regulate what you have  
2 to do to be able to use those claims, so they don't really  
3 mean anything but consumers think they do. And in that  
4 testing they found 46 of 100 products had detectable levels  
5 of 1,4-dioxane. And again, these are just the ones that are  
6 marketed as being natural or organic.

7 By contrast, if you're certified organic, where  
8 the -- one of the testing -- part of this testing was done  
9 as if it was certified by the USDA as being organic, they  
10 did not find any 1,4-dioxane, which speaks to the fact that  
11 you can take this stuff out if you have the will to do it.

12 In 2008, my organization, the Breast Cancer  
13 Prevention Partners, tested children's bath products. So we  
14 looked at baby shampoos, baby washes, a number of other  
15 categories of products; 32 of 48 of those products had 1,4-  
16 dioxane, detectable levels of 1,4-dioxane, including things  
17 that suggest to consumer safety, like Johnson & Johnson Baby  
18 Shampoo, Huggies Bath Wash, American Girl, Shower Gel. So  
19 these are iconic names that consumers assume are safe and  
20 yet we found detectable levels in 2008. In fact, in that  
21 testing, all of the bath washes and all of the bubble baths  
22 tested positive for this chemical.

23 And then more recently, in 2017, we did a much  
24 smaller testing of seven different cleaning products. And  
25 of those seven we found detectable levels of 1,4-dioxane in

1 two of them. They were in Totally Awesome and Fabuloso,  
2 which are products that you're likely to find in dollar  
3 stores which, again, are located in low-income communities  
4 of color.

5           And then there's been -- people have looked at the  
6 environmental working group, Skin Deep, database which has  
7 shown somewhere around 22 percent of the products that they  
8 have used -- they have on there have some level of 1,4-  
9 dioxane.

10           And then our very own California Safe Cosmetics  
11 Program database has approximately 50 products that have  
12 been reported, including body washes, shampoos and  
13 conditions as having 1,4-dioxane.

14           The interesting thing about that is it's a serious  
15 underrepresentation because they aren't even -- they are not  
16 even required to actually report 1,4-dioxane because it's  
17 not an intentionally added product -- or ingredient. So we  
18 appreciate the voluntary disclosure of those companies,  
19 although I'm not sure they knew they were doing that.

20           But the fact that there are still over 50 products  
21 in there shows that this continues to be a problem. And I  
22 think it's a problem. I think some of these companies have  
23 cleaned up their act over time, so some of this data is a  
24 little bit dated. But, you know, it continues to be an  
25 issue that we need to address.

1           So one of the sort of related issues that doesn't  
2 get talked a lot about is I mentioned the ethoxylation  
3 process, which is used to make certain chemicals less  
4 irritating, milder. It also helps with solubility of  
5 things. The chemical that's used to do that is ethylene  
6 oxide. Ethylene oxide is a well-documented breast  
7 carcinogen. It's also been linked to lymphoma, leukemia,  
8 and stomach cancer. But it's a chemical that we have  
9 really, really deep concern about. And that's how the 1,4-  
10 dioxane gets formed. Two of these ethylene oxide molecules  
11 come together to create 1,4-dioxane.

12           And so that tells us that products that are  
13 contaminated with 1,4-dioxane may also have trace amounts of  
14 ethylene oxide in them which goes to consumers. And then  
15 you have to think about the workers who actually make this  
16 stuff. So the workers in the plants that create the  
17 personal care products and cleaning products have to work  
18 with ethylene oxide, a highly toxic chemical.

19           And then, of course, the ethylene oxide has to be  
20 produced somewhere, too, in plants around the country. And  
21 that's an environmental justice issue because there's been  
22 some recent activity by the EPA that has shown that there  
23 are communities that are way, multiple times, over the safe  
24 level for ethylene oxide. And the recent science from the  
25 EPA reduced the safe level to a lower level in terms of the

1 science part of the EPA. But the policy side of the EPA  
2 would like to reconsider that because that science doesn't  
3 really fit with their priorities in terms of who gets  
4 protected by the EPA, whether that's consumer and the public  
5 or the chemical industry.

6 So again, that's an ongoing EJ issue because  
7 people are fighting back against the EPA, possibly revising  
8 that level to be less protective and, therefore, leaving  
9 these communities in danger.

10 So let me just talk one second about, sort of,  
11 regulation, or lack thereof.

12 So personal care products and cosmetics are  
13 regulated by the FDA and they have no standard for 1,4-  
14 dioxane at all. They like to suggest that what they've seen  
15 isn't a problem but they don't regulate it.

16 The EPA is considering 1,4-dioxane as one of the  
17 first ten chemicals that will be considered under the new  
18 TSCA. So Jane mentioned that the bill was passed in 1976.  
19 It was just revised in 2016. And they had to pick ten  
20 chemicals to start with and 1,4-dioxane is one of those.  
21 However, given the track record of this EPA, there's not a  
22 lot of confidence that that's going to end up with a  
23 protective standard. So it's there but I don't think it's  
24 something that people feel like is going to come out with  
25 the result that environmental health and environmental

1 justice folks would like to see.

2 In Canada and the E.U., cosmetics with 1,4-dioxane  
3 are banned. So they have actually taken action. And just  
4 last week the State of New York.

5 And you had seen the maps that Jeff and Jane put  
6 up and it showed a little grouping of dots in the Northeast.  
7 Long Island has a huge problem with 1,4-dioxane  
8 contamination. And the State of New York, of the  
9 legislature, at least, just passed a bill that would ban  
10 sale of personal care products and cleaning products with  
11 levels of 1,4-dioxane above two parts per million by 2022  
12 and above one part per million by 2023. They had a  
13 different standard for cosmetics of ten parts per million,  
14 which I'm not quite sure how that all happened.

15 But the State of New York has decided that the  
16 majority of their contamination is related to cleaning  
17 products. So I think that's why they were particularly  
18 cognizant of making sure that the cleaning products got down  
19 to one or two parts per million, or two and then one parts  
20 per million.

21 Now chemicals -- companies that make this -- use  
22 this ethoxylation process can remove it through vacuum  
23 stripping. It's a volatile organic compound, so they can  
24 take it out and they can, depending on how much they're  
25 willing to spend and how much time they're willing to take,

1 I think they can get it down to quite low levels. But a  
2 number of companies have just changed the process and used a  
3 different ingredient, like Seventh Generation took out the  
4 chemicals that are related to 1,4-dioxane and now they don't  
5 have any in their products, so, clearly, it can be done. We  
6 can just substitute the chemicals or use a different  
7 process.

8           And I think, you know, one of the tenets of the  
9 Safer Consumer Products Program is: Is it necessary? And I  
10 think there's good information out there to say that in  
11 these products it's not necessary.

12           And given the money it takes to clean this up, the  
13 millions and millions we've just seen put up on the screen,  
14 it seems a lot easier to just turn off the tap rather than  
15 take the time to remove it.

16           I would want to urge the Safer Consumer Products  
17 Program both to take this issue up but to use as wide a  
18 swath of products as you can under the law. So I would urge  
19 you not just to look at shampoos or conditioners but to look  
20 at personal care products and cosmetics and all cleaning  
21 products. It's the same process. It's the same result.  
22 And if we can clean it up in one we should be able to clean  
23 it up in others. And given the complexity of the process,  
24 having to do it iteratively for different smaller chunks of  
25 the broad category of personal care products would take way

1 too much time.

2           So with that, I want to say, thank you very much  
3 for the invitation to come and speak. And if you have  
4 questions, I'm happy to take them.

5           Okay. Thanks.

6           MR. LOPEZ: Thank you, Nancy.

7           We will now hear from our last presenter, Senior  
8 Director for the American Chemistry Council, Steve Risotto.

9           MR. RISOTTO: Thank you, Manuel, and thanks to  
10 DTSC for allowing me to speak.

11           I first want to say, in case you're wondering,  
12 unlike Jane, I was alive when that 1974 reference that she  
13 put up there was published, but I was only a teen, so I  
14 can't say I was particular focused on the issue at the time.  
15 But suffice it to say that a lot has happened since 1974.  
16 And a fair amount has happened since California and USEPA  
17 have last looked at the toxicity of 1,4-dioxane. And so  
18 what I want to do in these few slides is talk about what's  
19 happened since 2010 and 2013 when California and EPA did  
20 their assessments and including some research that ACC has  
21 just completed that we plan to share with DTSC and the world  
22 as soon as we get it sort of written up and published.

23           So what do we know? What do we know about 1,4-  
24 dioxane in terms of this toxicity? And, basically, as  
25 you've surmised, this is what underlies all of the

1 discussion that we've had so far is sort of what is the  
2 toxic level? What is the safe level and how do we get  
3 there?

4           So first, what do we know? 1,4-dioxane is readily  
5 metabolized at lower doses in rats, in mice, and in humans.  
6 But you see a saturation of that metabolic pathway at higher  
7 doses. And so then what happens is you start to accumulate  
8 the parent compound, 1,4-dioxane, in the blood and in the  
9 system. And there's also very clear evidence that dioxane  
10 and its metabolites are not genotoxic, so this is not your  
11 classic mutagenic reaction to cancer. There's some other  
12 non-mutagenic process going on.

13           And as a result of that, we've heard soft of  
14 referenced the E.U. and Health Canada, Health Canada, World  
15 Health Organization, and the European Union have concluded  
16 that the tumors that you see, the cancer that you see in the  
17 animals, forms only after the metabolic pathway is saturated  
18 and, therefore, it's a nonlinear threshold and a threshold  
19 mode of action, meaning that below a certain level there's  
20 no activity.

21           USEPA, on the other hand, in their 2013 risk  
22 assessment, which essentially mirrors California's  
23 conclusions, said that, yeah, there's data supporting a  
24 threshold mode of action but there's incomplete evidence  
25 that you see sort of the cell damage and cell regrowth that

1 you would expect for a nonlinear mechanism, that we don't  
2 have a clear idea of metabolism, and also that we don't see  
3 a cell growth, a burst of cell growth that would lead to  
4 tumors.

5           So based on that they said we've got to go with  
6 our default, linear assumptions, which essentially what they  
7 always do.

8           So just to kind of demonstrate what difference  
9 that makes is if you take a standard, here's your, you know,  
10 lab data, when you do a linear approach you draw a straight  
11 line to zero. With a nonlinear approach you're drawing --  
12 you're following that curve and you can see that you cross  
13 the X axis well above zero. And so below there, there's no  
14 effect.

15           And also, your assessment of where that one-in-a-  
16 million risk, which is the standard for carcinogens or  
17 probably carcinogens is quite a bit higher. So that's the  
18 difference. And you can see, it can make a pretty  
19 significant difference in terms of what your threshold is,  
20 what your safe level is. And this, obviously, is just a  
21 generalized curve.

22           Now let me -- just to talk briefly about the  
23 pathway, this nonlinear pathway for 1,4-dioxane, because it  
24 will help you understand some of the data I present, and  
25 this is from EPA's IRIS assessment. And this is the most

1 likely pathway that has been identified, although, again,  
2 EPA said, we don't have enough information that we can  
3 affirm that this is the pathway. But basically, exposure to  
4 dioxane, typical metabolic pathway, breaks it down to the  
5 metabolite HEAA, and then you pee it out of your system.

6           At a certain point that pathway saturates, you get  
7 accumulation of dioxane in the blood. It then moves to, in  
8 this case, the liver. You get either, you know, cell  
9 damage, liver cell damage, then cell regrowth, swelling and  
10 tumor formation, or you go right to cell -- a burst of cell  
11 growth, swelling, and then tumor formation. So that is the  
12 most likely pathway for the carcinogen 1,4-dioxane.

13           So shortly after the EPA's assessment was released  
14 a number of researchers -- sorry, I hit the wrong button --  
15 a number of researchers commissioned a reanalysis of the  
16 slides from one of the two cancer bioassays, the one, it's a  
17 1976 study, I was also alive when that was done, by the  
18 National Cancer Institute, and found evidence of both cell  
19 toxicity and proliferation, along with the tumors, in the  
20 slides.

21           So we have evidence, and this is in both rats and  
22 mice, we have evidence that there is damage and regrowth  
23 that is associated with the formation of tumors.

24           Now the fact that the NCI researches didn't report  
25 it is not because they missed it or they were -- they

1 forgot, it's just, basically, at the time, you only reported  
2 the most severe effect, so they only reported the tumors.  
3 And so it's not surprising that it wasn't reported as an  
4 observation in the NCI analysis.

5           Now the second bioassay was done in Japan. And so  
6 the researchers hoped to do some similar reanalysis but it  
7 turns out there were no slides available. But they were  
8 able to get the lab reports that were translated from  
9 Japanese to English. And then did a subsequent publication  
10 that added some additional insights into the toxicokinetics  
11 and threshold.

12           And so both of these publications are available.  
13 And we certainly will provide them to the DTSC.

14           So we first, we've got sort of insight now, new  
15 insight, into the progression of tumors.

16           The second question on metabolism. Now this is  
17 looking at liver cells, isolated liver cells, that are  
18 incubated with various levels of 1,4-dioxane. And we've got  
19 it in the rat and the mouse and it clearly plateaus. You  
20 clearly hit a point where you see the metabolite  
21 accumulating, breaking down rather quickly. At a certain  
22 point it levels off. The pathway gets saturated and you get  
23 the accumulation of dioxane. You can also see that the rat,  
24 it happens a lot faster in the rat than in the mouse. And  
25 we've seen similar results in human liver cells and in whole

1 animal tissues. So this is a fairly classic pattern with  
2 dioxane in mammals.

3 Now this is from the work that we have just  
4 completed. We did a 90-day study, sacrificed animals at 7,  
5 28 and 90 days. This is first dioxane levels in the blood.  
6 And you can see -- and these are the exposure levels. For 7  
7 and 28 days, basically no dioxane accumulating at all. Then  
8 at 90 days and at the higher exposure level we see it jump  
9 up. So we're clearly seeing a saturation of the pathway  
10 here.

11 We also, we look at the metabolite, we see  
12 something similar. At seven days, you see sort of a quick  
13 adaptive response. But at 28 and 90 days the pathway just  
14 keeps tooling along, breaking the dioxane to HEAA as much as  
15 it can but, clearly, it's being saturated at the higher  
16 levels.

17 So again, I've got further evidence of this  
18 saturation pattern.

19 Then to talk about the third one of EPA issues,  
20 and that relates to this proliferative response, basically  
21 the damage creates -- stimulates the cells to reproduce  
22 quickly, rapidly, and in that process is when you get the  
23 tumor formation. So this, again, is from our new study. We  
24 did a standard kind of BrdU pump which looks at  
25 proliferative response. And you can see at 6,000, this is

1 just the PPM, the level in this drinking water study, you  
2 see a significant burst of cells, cell growth, at 6,000, not  
3 in the lower levels, and not in the earlier time periods at  
4 any dose. So again, at a very clear threshold right there  
5 when you start to see cell growth.

6 We also did genomics analysis where we looked at  
7 sort of the genes. What genes are being turned on and  
8 turned off with exposure to 1,4-dioxane? And after 90 days  
9 at 6,000 PPM, we see these -- this enrichment, all of these  
10 gene sets that were related to proliferation.

11 So we have, for the first time, a real sort of  
12 genetic level, gene-level confirmation of this proliferative  
13 response.

14 So we have essentially addressed each of the three  
15 limitations in the database that EPA identified back in 2013  
16 and that OEHHA reiterated in 2010.

17 So now I want to just kind of dig in a little  
18 deeper on this gene expression, one, just to give you a  
19 better sense, it may be a little hard to see, and also, it's  
20 really cool data. I love this stuff.

21 So this is 90 days. This is the five -- the five  
22 dose levels. And the red dots are when there's a  
23 significant change, either up-regulating or down-regulating  
24 the genes. You can see absolutely nothing going on at 40  
25 and 200 PPM. It looks what we think is an adaptive response

1 at 60. Again, very little at 2,000. It's only really at  
2 6,000 where you see much of a change at all. And again, so  
3 it's showing that there really is a threshold right here at  
4 90 days because, again, very little activity at the earlier  
5 time periods.

6 Now just for comparison, this is a more typical  
7 kind of pattern of gene expression. So you can see, we're  
8 not getting an awful lot of activity with 1,4-dioxane, even  
9 at 6,000 PPM, a fairly high dose.

10 So just to kind of summarize, again, this is EPA's  
11 schematic of the -- of this most likely pathway to cancer.  
12 We're clearly seeing a metabolic saturation, so not only at  
13 dose but also at time period, so it sort of seems to be a  
14 combination. We are seeing proliferation very clearly,  
15 again, at the higher doses, the longer time periods. And we  
16 are also -- in this case, we're not seeing the cytotoxicity,  
17 but we are seeing evidence of proliferation consistent with  
18 tumor formation. So we basically have really sort of  
19 answered all three of those questions.

20 So why is this important in DTSC's activity? I  
21 think, you know, it really gets to the heart of, you know,  
22 one, first and assessment of is there an adverse impact  
23 that -- that needs to be addressed. And then secondly,  
24 if it's still determined there is, what is that threshold  
25 for an alternatives assessment? You know, sort of what --

1 as I demonstrated, with a nonlinear pathway that threshold  
2 moves quite a bit further.

3 And sort of as evidence, while you still have that  
4 EPA's health advisory level for -- in drinking water for  
5 1,4-dioxane is 0.35 parts per billion, Health Canada and WHO  
6 are at 50 parts per billion, so 100-fold difference because  
7 of that assumption of nonlinear versus linear. So it can  
8 really make a large difference in terms of where -- what you  
9 decide is the level of toxicity in a particular dose.

10 So thank you so much for the opportunity to  
11 present. I'm happy to take any questions.

12 Yes?

13 MS. GRANT: So I had a question on the BrdU study.

14 MR. RISOTTO: Yes.

15 MS. GRANT: Did you look for any markers for cell  
16 death, you know, markers for --

17 MR. RISOTTO: Yes, we did. Sorry, I forgot to  
18 mention, we did. We looked at caspase-3. This is all names  
19 I've heard. I can't tell you the details of it. But really  
20 did not see a lot of cell death. And we have that data we  
21 can present but it's just not -- was not very picturesque.  
22 So we really weren't seeing the cell death that we thought  
23 we might see or that others suggested. It may be that that  
24 happens over a longer time period. We only did for 90 days.  
25 But we definitely did see the cell growth.

1           Thanks.

2           Other questions?  Yes.

3           MS. STACKHOUSE:  So when you're -- when you were  
4 doing the study --

5           MR. RISOTTO:  Yes.

6           MS. STACKHOUSE:  -- just looking at your PPM  
7 results, these were all in mice; correct?

8           MR. RISOTTO:  This is in female mice.

9           MS. STACKHOUSE:  Right.

10          MR. RISOTTO:  And the reason we did that was  
11 because that was the most sensitive species in the EPA  
12 analysis.

13          MS. STACKHOUSE:  Right.  So when we're talking  
14 about getting up around 2,000, 6,000 --

15          MR. RISOTTO:  Right.

16          MS. STACKHOUSE:  -- do you guys take into any  
17 account like other effects, besides just dioxane?  I mean,  
18 if you start flooding the body with, you know, any chemical  
19 at such --

20          MR. RISOTTO:  Uh-huh.

21          MS. STACKHOUSE:  -- high concentrations, how are  
22 you accounting for whether it was actually caused by 1,4-  
23 dioxane or just by the fact that the body just couldn't  
24 process it, no matter what chemical it was?

25          MR. RISOTTO:  Well, I mean, you know, we are also

1 looking at, you know, lower doses. That's why we wanted --  
2 we really took a lot of time figuring out what doses to you  
3 because, based on previous studies, we wanted to see if we  
4 can find, you know, lower doses to see what's going on  
5 early. We also want to look at can we find sort of where  
6 the saturation level is, and then sort of the doses where  
7 previously reported.

8 We looked at, you know, drinking water  
9 consumption. We looked at, you know, all other parameters,  
10 you know, body weight, et cetera, et cetera, and those will  
11 be in the report; no significant changes in those. Whether  
12 -- I don't know what other impacts. I mean, obviously,  
13 you're controlling for exposure to other -- anything else,  
14 really just controlling for just dioxane exposure, so it's  
15 not likely that there are other parameters there.

16 We did, you know, the blood analysis. So if there  
17 was other stuff in the blood, we would detect it. So we  
18 don't -- we can't eliminate every possibility but I think  
19 we've done a reasonably good job to sort of really tie it to  
20 the levels of dioxane.

21 Does that -- okay. Awesome. Let me get --  
22 well --

23 MS. WILLIAMS: Well, so I just have one question.

24 MR. RISOTTO: Sure.

25 MS. WILLIAMS: (Off mike.) So it is a carcinogen

1 in this example?

2 MR. RISOTTO: It is a rodent carcinogen at higher  
3 levels of exposure. And I don't know that the human data,  
4 the epidemiology data is fairly inconclusive. But as you  
5 know, we typically use the rodent data to determine, you  
6 know, what the likelihood of cancerous effects in humans.

7 MR. LOPEZ: Thank you, Steve.

8 So this concludes the section for presentations  
9 from stakeholders.

10 I would like to share that we are transitioning  
11 into public comment. Is there any public comments here in  
12 the room? Not at this stage?

13 I've been informed that we don't have anything in  
14 our Safer Consumer Products email either.

15 We, however, received one comment and I will read  
16 this so that it's part of the court reporter.

17 So this was a public comment given by Arjun  
18 Venkatesan, Professor and Associate Director for Drinking  
19 Water Initiatives in New York State, New York State Center  
20 for Clean Water Technology of the Stony Brook University.  
21 And the comment says as follows:

22 "1,4-dioxane is a persistent chemical and is difficult  
23 to remove by conventional water and wastewater  
24 treatment systems. The water providers would have to  
25 upgrade to advance oxidation processes, AOP, to

1       efficiently remove 1,4-dioxane from water. AOP  
2       involves the use of strong chemical oxidants, typically  
3       in the presence of UV light, to generate hydroxyl  
4       radicals. Some challenges/concerns associated with the  
5       use of AOP are below.

6       "AOPs are expensive systems that increase the cost of  
7       treatment significantly.

8       "Hydroxyl radicals are not specific to 1,4-dioxane and,  
9       hence, can react with other organics present in source  
10      waters that can generate unintentional byproducts.

11      There is a lack of characterization of AOP byproducts  
12      and some research indicates the formation of toxics  
13      byproducts, for example, phenolic compounds during AOP.

14      "Hence, there is a need for additional polishing  
15      treatments that -- for example, GAC, to remove them.

16      Chemical oxidants, hydrogen peroxide, also, added in  
17      AOP systems are not completely consumed in the reactor  
18      and, hence, high residual oxidants is present in  
19      treated AOP effluent.

20      "The oxidant is usually caught (phonetic) using GAC.  
21      However, the presence of oxidant can have an impact on  
22      the GAC filter performance to remove byproducts.

23      "Also, an increased in DBP formation has been observed  
24      in AOP effluent when chlorine is used as the oxidant.

25      "Thank you."

1 MR. PALMER: Thanks Manuel.

2 So closing up, I have a couple of points I want to  
3 make.

4 First, I want to express my thanks for everyone  
5 who attended today, both online and here.

6 I really want to thank all our speakers for  
7 putting in the time and energy and sharing their wisdom and  
8 experience with us. It's really important.

9 And I particularly want to thank my staff, who I  
10 am continually amazed with and proud of and thankful for  
11 every day, so thank you. And my -- and our colleagues at  
12 our Southern California staff who have supported us coming  
13 down here. Nice seeing you and thank you very much.

14 But I wanted to take, in closing, a thought, kind  
15 of stepping back a little bit and sort of teeing up our next  
16 workshop.

17 I think it's really important that everyone  
18 understand our regulatory framework and how it is very  
19 different from what DTSC does in its other programs and what  
20 most of our colleagues and other environmental and health  
21 organizations do. And this was not by accident. This was  
22 by design. You know, we're focusing largely on drinking  
23 water and water resources today. But as you've heard from  
24 some of our speakers is that this issue for 1,4-d crosses  
25 not just water but exposure to people. It affects workers.

1 It affects communities who are disadvantaged in a variety of  
2 ways that may be adversely or disproportionately impacted.

3 And we have a framework, generally, where each of  
4 our state agencies and local agencies have a specific  
5 authority and responsibilities and things they can do and  
6 they're relatively narrow. Our Superfund cleanup deals with  
7 hazardous substances. Our RCRA Hazardous Waste Program  
8 deals with RCRA hazardous waste.

9 And one of the things I'm thankful for today is  
10 that we have this collaboration with our colleagues in water  
11 here to not just focus on what is our specific authority but  
12 what is the problem and how can we work together with all  
13 the stakeholders to address these problems that affect all  
14 of us. And that's an important concept because no one has a  
15 silver bullet. No one has all the answers or all the  
16 resources.

17 But further, I think, I was reminded in our last  
18 presentation is that our framework is very different. We --  
19 I think it was one of the speakers said that our fundamental  
20 question in the SEP regulations is: Is it necessary? The  
21 fundamental question is not have we done a full-blown risk  
22 assessment and have we determined what an action level is?  
23 Is it scientifically sound and within these parameters of  
24 traditional risk assessment? That's not our framework.

25 And it's important to understand that because of

1 all of these challenges that we have, both in terms of the  
2 scope of the problem, the multitudes of problems that are  
3 contained in this chemical, the multitude of stakeholders  
4 that use it and, on one hand, benefit from those materials,  
5 or they're from products that have a valuable use, for  
6 people who are designing alternatives to those chemicals,  
7 different ways to address these problems, there's a lot of  
8 landscape here. And it's not just about in a cleaning  
9 product or a personal care product, it's bigger than that.

10           And so we're a small group in DTSC. And our hope  
11 is that that the dialogue that we have, the action that  
12 we'll take under our regulations, will put in the  
13 marketplace information that will help everyone, you know,  
14 make decisions that can help manufacturers make products  
15 that work, that are effective, that are cost effective, and  
16 that are safe, for consumers to know what products are out  
17 there that they can choose which are safe and effective, and  
18 for regulators to deal with our challenges in meeting our  
19 responsibility to protect people and our environment in each  
20 of our silos in an effective way.

21           And our framework really looks at working with all  
22 those stakeholders to take action to move forward in a  
23 progressive and positive way, notwithstanding the scale of  
24 the problem, and a huge amount of uncertainty on many  
25 levels, so that's our challenge.

1           And we need your help. And so when we talk, at  
2 the next workshop, about marketplace and we talk about our  
3 alternatives analysis threshold process, we're going to need  
4 input and we're going to need understanding of how we're  
5 going to implement that within our framework, because it's  
6 very different. We're not going to be developing a risk  
7 assessment-driven AAT that says if you're below this, you  
8 know, you're okay. It's probably going to be something more  
9 of a functional definition that says if you're below this  
10 level for a variety of reasons, then you're out. If you're  
11 above it, you're in. And so there's science behind that,  
12 there's policy behind that, there's values behind that.

13           So I've stepped way back into some big-ticket  
14 issues. But it's really important that everyone understand  
15 the regulatory framework we're working with and understand  
16 that we're asking for your help to give us information to  
17 make it work. And so it's a big challenge and we're really  
18 thrilled that all of you are helping us with that. And  
19 we'll look forward to seeing you, hopefully either in  
20 Sacramento or online, on the 21st at our next workshop.  
21 Please read the background document. Give us your comments,  
22 questions. We're happy to move forward.

23           And with that, we'll conclude our workshop today.  
24 So thank you very much.

25           (Thereupon, the Meeting was adjourned at 12:35 p.m.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of August, 2019.



ELISE HICKS, IAPRT CERT\*\*2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



August 27, 2019

MARTHA L. NELSON, CERT\*\*367