

PUBLIC WORKSHOP
STATE OF CALIFORNIA
DEPARTMENT OF TOXIC SUBSTANCES CONTROL

**Public Workshop on Food Packaging with Perfluoroalkyl and
Polyfluoroalkyl Substances (PFASs)**

CAL/EPA HEADQUARTERS BUILDING
SIERRA HEARING ROOM
1001 I STREET
SACRAMENTO, CALIFORNIA 95814

TUESDAY, JANUARY 14, 2020

9:00 A.M.

Reported by:
Peter Petty

APPEARANCES

DEPARTMENT OF TOXIC SUBSTANCES CONTROL (DTSC)

Dr. Meredith Williams, Director

Karl Palmer, Acting Deputy Director

Asha Setty, Public Participation Specialist

Andre Algazi, Chief, Chemical-Product Evaluation Section

Dr. Simona Balan, PhD, Senior Environmental Scientist,
Specialist

Jennifer Branyan, Environmental Scientist

Dr. Anne Cooper Doherty, PhD, Senior Environmental
Scientist, Specialist

Dr. Kelly Grant, Senior Environmental Scientist, Specialist

PRESENTATIONS/PANEL MEMBERS: (*Via online/telephone)

Jared Blumenfeld, Secretary for Environmental Protection,
CalEPA

Carla Ng, PhD, University of Pittsburgh

Brian Sernulka, Foodservice Packaging Institute (FPI)

*Maricel Maffini, PhD, Independent Consultant

*Malene Teller Blume, Coop Danmark

Cathy Rudisill, SRC, Inc.

Bill Orts, PhD, US Department of Agriculture

PUBLIC COMMENTS/QUESTIONS (*Via online/telephone)

*Pat Rizzuto, Bloomberg Environment (webcast question)

Mike Waggoner, Corumat Inc.

Renee Robin, Zume Inc.

APPEARANCES

PUBLIC COMMENTS/QUESTIONS (*Via online/telephone)

*Pat Rizzuto, Bloomberg Environment

Scott Coffin, California State Water Board, Division of
Drinking Water

Andria Ventura, Clean Water Action

Peter Weiner, Self

Joanne Brasch, California Product Stewardship Council

Neil Edgar, California Compost Coalition

*Melody LaBella, Central Contra Costa Sanitary District

*Juan Villa-Romero, DTSC

*Thomas Booze, DTSC

*Holly Davis, Washington State Department of Health

I n d e x

	Page
1. Welcome	7
Asha Setty, Public Participation Specialist, Office of Environmental Equity, California Department of Toxic Substances Control (DTSC)	
Jared Blumenfeld, Secretary for Environmental Protection, CalEPA	
2. DTSC's perspective on food packaging with PFASs	12
André Algazi, Senior Environmental Scientist, Supervisor, DTSC	
3. Understanding and predicting the properties and behavior of per- and polyfluorinated alkyl substances in food packaging	21
Carla Ng, PhD, Assistant Professor, University of Pittsburgh	
4. Foodservice packaging: PFAS landscape	33
Brian Sernulka, Director of Government Relations, Foodservice Packaging Institute	
5. Perspective on U.S. Food and Drug Administration (FDA) regulation of PFAS uses in contact with food	45
Maricel Maffini, PhD, Independent Consultant	
BREAK	60

I n d e x (Cont.)

	Page
6. Panel discussion: The life cycle of food packaging products containing PFASs - potential exposures and adverse impacts	61
Moderators: Simona Balan, PhD, Senior Environmental Scientist, DTSC Jennifer Branyan, Environmental Scientist, DTSC	
<ul style="list-style-type: none">• Brian Sernulka, Director of Government Relations, Foodservice Packaging Institute• Carla Ng, PhD, Assistant Professor, University of Pittsburgh• Daphne Molin, Senior Environmental Scientist (Supervisory), CalRecycle• Jen Jackson, Toxics Reduction & Healthy Ecosystems Program Manager, San Francisco Department of the Environment• Maricel Maffini, PhD, independent consultant• Rhodes Yepsen, Executive Director, Biodegradable Products Institute• Tom Bruton, PhD, Senior Scientist, Green Science Policy Institute	
LUNCH BREAK	130
7. Coop Danmark, staying ahead through an ambitious chemical strategy	131
Malene Teller Blume, Quality Manager & Social Compliance, Coop Denmark	
8. The search for PFAS-free food packaging: What's happening in Washington State?	146
Cathy Rudisill, Environmental Chemist, SRC	

I n d e x (Cont.)

	Page
9. Development of "environmentally-friendly" packaging and the challenge of meeting everyone's expectations	156
Bill Orts, PhD, Bioproducts Research Leader, U.S. Department of Agriculture	
BREAK	167
10. Panel discussion: Alternatives to PFASs in food packaging products - availability, performance, and life cycle impacts	167
Moderators: Simona Balan, PhD, Senior Environmental Scientist, DTSC Jennifer Branyan, Environmental Scientist, DTSC	
• Bill Orts, PhD, Bioproducts Research Leader, U.S. Department of Agriculture	
• Cathy Rudisill, Environmental Chemist, SRC	
• Clay Mayhood, Vice President of Business Development and Continuous Improvement, Sustainable Fiber Solutions	
• Sarah Martinez, Senior Director of Marketing, Eco-Products	
• Sue Chiang, Pollution Prevention Director, Center for Environmental Health	
• Zack Leimkuehler, VP, Technical Solutions Business Unit and Business Area R&D, Ahlstrom-Munksjö	
11. Concluding remarks	238
Karl Palmer on behalf of Meredith Williams, PhD, Acting Director, DTSC	

P R O C E E D I N G S

9:05 A.M.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

MS. SETTY: Welcome, let's go ahead and get started. I'd like to welcome you all to the Safer Consumer Products Workshop. Thank you so much for joining us for this full day of presentations and panel discussions. My name is Asha Setty and I'm a Public Participation Specialist for the California Department of Toxic Substances Control. We're here today to discuss perfluoroalkyl and polyfluoroalkyl substances, which we will be referring to as PFASs, and their alternatives in food packaging.

I'll be facilitating this workshop and encourage you to provide us with feedback. This meeting is being recorded by a court reporter over here -- thanks for that Jared -- so video recording of this meeting will also be posted on our website.

For those of you here in person, please make sure you checked in at the registration table and picked up an agenda and comment card. There is water in the back of the room. For restrooms you go straight out the exit and go all the way to your left.

In case of an emergency you will be exiting the building by taking the stairs, just take a moment to look around. There are three exits, find the one that is nearest you. And let's see, let me grab the clicker.

1 Those of you joining us by webcast please email us
2 at saferconsumerproducts@dtsc.ca.gov.

3 Now it is my great pleasure to introduce you to a
4 special guest for opening remarks. We're really excited to
5 have our Secretary for Environmental Protection here today.
6 Please welcome Jared Blumenfeld.

7 (Applause.)

8 MR. BLUMENFELD: Hi, Asha. Thank you.

9 Thank you to Asha. We also have Meredith
10 Williams, Dr. Meredith Williams, our new Director of DTSC.
11 Let's give her a rousing -- (Applause.) Yeah, and as you
12 know, Meredith came from Safer Consumer Products. And we're
13 lucky enough to have Karl, who is doing that right now. So
14 Karl, thank you so much for being here too.

15 And thank you everyone in the room.

16 My basic take is when you think about the public,
17 the public expects some degree of safety. So when you read
18 in the newspaper that PFASs, which most people are never
19 going to get including me, to Asha's level of being to
20 articulate what they mean, they know that they're not good.
21 They know that they last a very long time in the
22 environment. They know that they have human health impacts.

23 And when you then say that they are being found in
24 things like food packaging, people are like, "What? Where
25 is government? Where is the business community? Where is

1 academia? Why are these things still happening?" And so I
2 think people like to point the finger. That's not our goal.
3 Our goal is really to work collaboratively as a community,
4 the regulated industry, us, really every stakeholder, to
5 come out with solutions. Because the last thing that people
6 want is just, which I think we have too much in our society,
7 is a lot of blame and not a lot of action. So our goal is
8 to try and remove the barriers.

9 And that's really what Safer Consumer Products is
10 about. It's about thinking about alternatives. Are there
11 different ways of achieving the same goal? And I certainly
12 hope there are in food packaging if you need to have PFASs
13 in those kinds of consumer products. People are already
14 unsure about their water supply. It's a national issue
15 where there is a lot of uncertainty and then not enough
16 clarity. And our goal in this exercise today, and moving
17 forward, is to bring as much light and clarity to the
18 process. And then work collaboratively across barriers to
19 understand how to solve those problems.

20 So we at CalEPA and certainly at DTSC and OEHHA
21 and all the boards and departments, actually this is --
22 PFASs, certainly not in food packaging, but generally is one
23 of the things that nearly touches everything that we do. So
24 we are here with our host, DTSC, but we also are calling
25 upon the full range of experts.

1 And really expertise is important, right? You
2 shouldn't have to have a PhD to go into a fast-food
3 restaurant and work out what's in the packaging. You should
4 presume that there is safety. And that's obviously a
5 complicated word, what that means. But you should at least
6 presume that there are not toxic, bio-accumulative toxins in
7 there that are going to affect you directly.

8 So our goal with this workshop today, as with all
9 the work that we do is to think about the problem,
10 understand it, hopefully reach some consensus around what it
11 is that we can and should do to go forward. And then
12 amongst those range of alternatives pick one, working
13 collaboratively with the regulated industries, in this room
14 and outside, to come up with solutions that make sense for
15 everyone.

16 So it sounds easy, but it isn't, right? We all
17 know, we've gone through these processes before. I think
18 the program itself, Safer Consumer Products, has turned the
19 corner in terms of really having knowledge under its belt.
20 It's working with you all to prove how this can be done
21 differently. This doesn't need to be adversarial. This can
22 be a collaboration.

23 So that's my goal for this workshop, to come up
24 with solutions that don't take decades to implement, but
25 paths forward to where we understand alternatives that can

1 be implemented fairly quickly and reasonably. So if we can
2 do it for this, we can continue the trend of doing it for
3 other products.

4 The Governor in his budget working with OEHHA, but
5 many people in this room, proposed \$6 million for doing what
6 we all have recognized needs to be done as the next step on
7 Chemicals Policy, which is computational toxicology. And
8 also obviously looking at biological ways of understanding
9 across a whole set of chemicals whether it's PFASs or other
10 groups. Understanding kind of what are the hazard traits,
11 so that you can read across and understand without this
12 incredibly laborious chemical-by- chemical, individual-by-
13 individual scenario.

14 So that's an exciting, I think transformative and
15 hopefully collaborative. I'd love to think about how we can
16 collaborate with people in this room. When I've met with
17 other states, Massachusetts and North Carolina, they are all
18 like, "How can we bring in as much of our thinking and
19 computing power to do a lot of this work together?" So I
20 think collaboration is the name of the game.

21 There's a lot of pressure outside this room for us
22 to fight and for us to be oppositional. That's not what
23 we're here to do today. So if you came here with your
24 boxing gloves on take them off and think about at the
25 beginning of the year how we can work together to solve this

1 complex problem and many more like it.

2 Thank you, and thank you to Asha for hosting us.

3 (Applause.)

4 MS. SETTY: Thanks so much for kicking this off,
5 Secretary Blumenfeld.

6 Now we're going to get started with our morning
7 presentations. If we have time after each presentation we
8 will open it up to clarifying questions. Otherwise we'd
9 like to ask if you would hold your questions and comments
10 until we start our panel discussions.

11 We do have a couple of presentations where the
12 speakers will be presenting remotely. For these, we will
13 have a little extra time since they won't be able to join
14 the panel.

15 Now I'd like to introduce you to our first speaker
16 Andre Algazi, the Section Chief in the Safer Consumer
17 Products Program, and has led the Chemical and Product
18 Evaluation team since the program's creation in 2013.
19 Previously he worked in the DTSC's Office of Pollution
20 Prevention where he led implementation of laws regulating
21 the use of hazardous chemicals in a variety of consumer
22 products. Please welcome Mr. Algazi.

23 MR. ALGAZI: Is there a clicker? Thank you Asha,
24 and good morning everybody.

25 So before we get into the panel discussions today

1 we would like to kind of give you some context and
2 orientation for what we're talking about today with regard
3 to PFASs and food packaging.

4 We had a public webinar back in October that many
5 of you may have participated in. And if you did then this
6 won't be new to you, but for the benefit of people who may
7 not remember just to refresh your memory or who weren't
8 there, I'd like to sort of start with an overview of our
9 regulatory framework.

10 This slide shows in the four horizontal bars the
11 four steps of our regulatory process. It begins with
12 chemicals. We have what's called a Candidate Chemicals
13 List, which is a list of 23 lists of chemicals that have
14 been identified based on either a hazard trait like
15 carcinogenicity or a persistence, bio-accumulative and
16 toxic, or exposure potential. All those lists compiled
17 together comprise thousands of chemicals, maybe 5,000
18 chemicals depending on how you count groups like PFASs,
19 which in and of itself is maybe 5,000.

20 The second step is products, our Priority
21 Products. And we are in sort of the preliminary to middle
22 stages of identifying Priority Products with regards to food
23 packaging. So that's where we are today. This process
24 involves compiling, researching, compiling information,
25 publishing technical documents, having dialogues like this

1 one, and adopting regulations that ultimately identify a
2 specific product-chemical combination as a Priority Product.

3 Once we've completed that step we go on to Step 3,
4 which is Alternatives Analysis. In that step the
5 manufacturers of the product that we've listed in
6 regulations do an Alternatives Analysis, which entails
7 identifying what are the functional requirements of the
8 product? Why is the Chemical of Concern being used? What
9 function does it serve? What possible alternatives exist
10 that might meet the functional requirements? And then a
11 detailed comparison of the adverse impacts that might -- the
12 relevant factors for each Priority Product and the
13 alternative.

14 Based on the Alternatives Analysis, which is a
15 fairly detailed and technical analysis, we then go to step
16 4, which is regulatory response. So the main kind of
17 takeaway from this process is that we don't determine the
18 regulatory response at the outset. We base the regulatory
19 response on what is shown by the Alternatives Analysis,
20 which is prepared by the manufacturers. So the
21 manufacturers identify what the functional requirements are,
22 want the alternative might be. And ultimately we make a
23 decision based on the analysis.

24 So as I mentioned we're kind of in the second of
25 these four steps, which is Priority Products. In the

1 framework regulations that we are working under, there is
2 two key prioritization principles that we need to make a
3 determination on in order to decide to list something as a
4 Priority Product.

5 The first is that there be potential for exposure
6 to a candidate chemical in whatever the product is. And
7 secondly, that these exposures have the potential to either
8 contribute to or cause significant or widespread adverse
9 impacts. So it's a narrative standard. We don't have a
10 threshold or a risk assessment in order to make that
11 determination. It is just the words that you see here.

12 As I mentioned we had a public webinar in October
13 of 2019. At that time we released this document, which is
14 our public background document on food packaging with PFASs.
15 And this sort of lays out the basis for what we're talking
16 about today, the scientific and regulatory criteria that we
17 used to determine if this was something that we needed to
18 talk about. And that's why we're here today.

19 And today what I would like to do is I'm going to
20 give you sort of an overview of some of the information in
21 the public background document. I'm going to talk first
22 about definitions, what we're talking about when we say,
23 "food packaging," what we're talking about when we say
24 "PFASs." I want to talk a bit about the potential for
25 exposure to PFASs from food packaging, the potential adverse

1 impacts from that exposure. And then finally a little bit
2 about potential alternatives, which we'll get into in the
3 panel discussions in more detail.

4 So in the public background document when we say
5 food packaging, we're talking about any product containing
6 PFASs placed into commerce in California, marketed or sold
7 for making paper, paperboard, or molded fiber resistant to
8 oil, grease and water or for releasing molded fiber food
9 packaging from the formation molds. So this is our working
10 definition of food packaging.

11 As far as PFASs, we're talking about any member of
12 the class of PFASs. I mentioned the 23 authoritative lists
13 that make up our Candidate Chemicals List. One of those is
14 the Priority Chemicals List for Biomonitoring California.
15 Biomonitoring California's Science Guidance Panel added the
16 entire class of PFASs to the Priority Chemicals List in the
17 latter part of 2015. And by doing that the entire class of
18 PFASs became Candidate Chemicals under our regulatory
19 framework. So when we're talking about PFASs we mean any
20 member of this class that might be used in food packaging as
21 I talked about on the previous slide.

22 So this is review for I'm sure most of you. PFASs
23 can be divided in different ways. Sort of the way we think
24 about it and the from the Wang et.al paper in 2017, the four
25 subclasses of PFASs includes the perfluoroalkyl acids, which

1 include well-known members such as PFOS and PFOA and many
2 others. There are PFAA precursors, which are PFASs that
3 either degrade or may metabolize to perfluoroalkyl acids,
4 fluoropolymers and perfluoropolyethers, which are the fourth
5 class.

6 So with regards to the use of members of this
7 class in food packaging, there are currently 30 approved
8 notifications for use of PFASs in food contact substances
9 under the FDA FCN program. That really accounts for 19
10 distinct compositions and there are 6 manufacturers that
11 we're aware of.

12 And these products are very common in California.
13 There's some examples on this slide: bakery bags, deli
14 wrappers, microwave popcorn bags -- we'll hear a bit about
15 that I think later today -- and molded fiber food
16 serviceware, things like bowls, soup containers, clamshells,
17 things like that.

18 So with regards to exposure potential, so there
19 are 19 or 30 approved FCNs. They're in a wide array of
20 products that are ubiquitous. And as far as exposure from
21 those products and other sources we do know that PFASs are
22 ubiquitous in the environment. They've been detected in
23 environmental samples and biota collected around the world,
24 even at the farthest corners of the world far from any
25 industrial activity or human population. So they're

1 ubiquitous in the environment. They are found in plants and
2 animals and humans and in our food and drinking water.

3 In addition to exposure directly from consuming
4 food that has been packaged or served in food packaging
5 there are other routes by which PFASs can expose people or
6 environmental receptors through migration from landfills,
7 composting, landfill leachate and through recycling of PFAS-
8 containing products.

9 As far as adverse impacts in our framework
10 regulations we cite OEHHA's regulations, the Office of
11 Environmental Health Hazard Assessments regulations that
12 define the hazard traits that we look at. Any Chemical of
13 Concern we identify, we need to identify what its hazard
14 traits are. And those regulations include what are called
15 "exposure potential hazard traits." And in and of
16 themselves these are reason for concern. And for the
17 members of the class of PFASs we think all of them have at
18 least one of these environmental exposure potential hazard
19 traits, which include environmental persistence, mobility
20 and bioaccumulation.

21 And then another concern, is a serious concern, is
22 that PFASs are passed on to our most vulnerable population:
23 fetuses and infants through the lactational and
24 transplacental transfer. So the exposure potential for
25 PFASs is well-documented.

1 As far as hazard traits all the members of this
2 class are not well characterized. The best characterized
3 are the longer chain PFAAs. Their hazard traits can include
4 carcinogenicity, cardiovascular toxicity, endocrine, immuno
5 and reproductive toxicity. The shorter chain, six carbon or
6 less PFASs have a range of hazard traits that can include
7 developmental endocrine, hematotoxicity and the other ones
8 shown on the slide.

9 So I mentioned on the earlier slide that if you
10 take into account, if you look at the four subclasses they
11 include the PFAAs and the PFAA precursors, fluoropolymers
12 and perfluoropolyethers. Basically this slide kind of shows
13 that all roads lead to or from perfluoroalkyl acids, so they
14 can degrade or metabolize -- I'm sorry -- so like for
15 fluorotelomer-based substances can degrade to PFAAs. The
16 perfluoropolyethers can combust and form PFAAs. PFAAs are
17 used to manufacture perfluoropolyethers. And similarly the
18 polymers can combust to and are manufactured from PFAAs and
19 can contain PFAA impurities. In fact, this OECD report
20 found that out of 5,000 or so PFASs over 80 percent can
21 degrade to PFAAs.

22 So in summary we're concerned about potential
23 adverse impacts to sensitive subpopulations, to endangered
24 species, and to sensitive habitats from PFAAs coming from a
25 variety of sources including food packaging.

1 As far as alternatives are concerned there are a
2 variety of ways of approaching alternatives to using these
3 chemicals. One is using alternative materials to the fibers
4 that are used to make the materials that are coated or use
5 PFASs. Another is to change the processing methods. Use
6 different kinds of coatings or use chemical barriers to
7 prevent the oil in -- or between the PFASs, I guess.

8 As I had mentioned we put out this public
9 background document in October and we are now reaching the
10 end of our public comment period. We are accepting comments
11 until 11:59 p.m. tonight via our CalSAFER web portal. So if
12 you haven't already submitted your comments I'm hopeful that
13 this isn't the first of you're hearing of it, since this
14 document has been out for a few months. Please submit your
15 comments by 11:59 p.m. tonight.

16 And I think without further ado I'll give it back
17 to Asha and we can get on with the next speaker in the panel
18 discussions.

19 MS. SETTY: We do have a few minutes for
20 questions. If we have any from the audience we can take
21 questions. We can come to you with a mic. Questions?

22 Okay. In that case let's go ahead and thank Mr.
23 Algazi for the presentation. (Applause.)

24 MR. ALGAZI: Thank you.

25 MS. SETTY: We're going to move on to our next

1 speaker. Dr. Carla Ng is an Assistant Professor at the
2 University of Pittsburgh. Her research focuses on
3 predicting the biological fate and potential hazards of
4 PFASs. She develops models to better understand the fate
5 and transport of legacy in emerging chemicals. And also
6 studies the cascading benefits of green infrastructure
7 networks. Please welcome Dr. Carla Ng. (Applause.)

8 DR. NG: Okay, so those first two talks relate to
9 this nicely, so I'll be able to gloss over some slides. And
10 just to preface this a little bit, this is not going to be a
11 research talk. This is more a little bit of an overview
12 talk, but I will touch upon kind of how a scientist
13 approaches these questions and what we do and don't know.
14 And what we see as our role in helping to provide kind of
15 guidance for scientifically sound policy I would say.

16 So as we've already talked about, PFAS can enter
17 our food through many different routes. And one of the
18 challenges we have is in really understanding what is the
19 main issue for human exposure to PFAS. So we know that if
20 you live in a community with contaminated water, drinking
21 water is going to be your primary source of PFAS exposure.
22 If you're outside of one of those communities it's thought
23 that food is your primary route of PFAS exposure.

24 In addition to that we also have the indoor route,
25 which is still sort of poorly characterized in ongoing

1 research. But we all understand that food is an important
2 route and of course we all want safe food. And so it's an
3 area of concern for communities and scientists.

4 And I'm going to speak specifically about
5 packaging today even though that's not my normal area of
6 research. I've been studying PFAS for some time now. The
7 years keep going by. But I'm kind of an application
8 agnostic researcher, so I'm interested in looking at the
9 PFAS structure and understanding how it behaves. But not
10 necessarily focusing on a particular application.

11 As has already been discussed PFAS is used in food
12 contact materials in a lot of different ways, directly in
13 packaging, which is I think the focus for today. But also
14 more indirectly in other things such as in the food
15 processing industry in materials that are used that are in
16 contact with food and even more esoteric applications like
17 in greasers and oils to keep the moving parts in the
18 machinery running. And so just trying to get a handle of
19 all of those uses of PFAS can be challenging.

20 So when we're thinking about PFAS in food
21 packaging, and really any chemical in food packaging, there
22 are three essential things that we need to understand. We
23 need to know how the chemical will transfer from packaging
24 to food, so the migration behavior. We need to understand
25 how or whether it will transform within the packaging itself

1 or within the food once migration has occurred. Is the
2 chemical staying with the same identity as it was first put
3 into the packaging material and very important, whether it's
4 going to be bioavailable, bio-accumulative, and/or
5 bioactive? And all of these will depend on the identity and
6 properties Of the PFAS in question.

7 Of course this seems really logical, but that's
8 kind of a challenge, right? So we don't necessarily have a
9 lot of information about the identity and importantly the
10 concentration of PFAS that are used in a lot of
11 applications. And I speak as a scientist who just kind of
12 goes on the Internet to try and figure out what's been
13 published and what's available for public consumption,
14 right?

15 So which PFAS are used in food packaging? A lot
16 of the PFAS already been discussed today in general are
17 those that are used for what's called "sizing of materials."
18 So if you're trying to make paper grease-proof this could be
19 as a coating on the surface of the paper. It could be
20 impregnated throughout the paper fibers, so that figure just
21 kind of shows an impregnated paper and what that looks like.

22 The problem from the scientific perspective of
23 somebody like me trying to say, "Okay, what are the
24 properties of these chemicals," is really that it's
25 difficult to find public information about specific

1 chemicals structures and composition. There is this FDA
2 inventory of food contact substance notifications, so these
3 FCNs that will be discussed further today. But if you've
4 ever, and I'm sure a lot of you have, looked at these this
5 is what one of these looks like. So I go to their website
6 and I look up, okay what kind of notifications are there on
7 food contact materials, the food contact substance is given
8 up there.

9 So I have a PhD. I have a background in chemical
10 engineering. I study environmental engineering now. That
11 does not jump out at me. I look at that sentence and go, oh
12 I know what that does. It's very opaque, right? And so it's
13 useful if we can actually see what a chemical structure
14 looks like.

15 So I understand that we're going to have a couple
16 of talks after me. There will be a specific presentation
17 talking about this EDF FOIA request that was able to find
18 some of these more detailed information about specific FCNs,
19 so I'm not going to get into the source of these documents.
20 But I will just point out what I see as a scientist looking
21 at some of these structures.

22 So these are three different FCNs that I
23 downloaded from that EDF site. And all of these are what we
24 call side-chain fluorinated polymers. I think this is
25 important to think about, because in the overview that we

1 were just given about PFAS there's been a lot of focus on
2 PFAAs, these perfluoroalkyl acids, because that's what a lot
3 of things break down into, that's what we know the
4 properties of. But there's also a lot of conversation right
5 now about whether fluoropolymers should be considered like
6 other PFAS. There's a little bit of a push to consider them
7 as less problematic, because they are supposed to be
8 persistent and not break down.

9 Side-chain fluorinated polymers in particular are
10 the ones that we do know break down. And so if you're
11 trying to figure out how to look at this structure, just
12 know that the backbone is a normal polymer backbone not a
13 fluorinated. And they have these side chains that stick
14 out, some of which contain a fluorotelomer group on it. So
15 there are fully fluorinated carbons, there are partially or
16 non-fluorinated carbons. And what's going to happen is at
17 that non-fluorinated carbon those groups are going to break
18 off. And that's how you get PFAAs entering into the
19 environment or potentially into the food from this polymer
20 material.

21 So here just is one of the examples, FCN 1676, and
22 you can see that they have a C₆F₁₃ group there. So when that
23 breaks off, you're basically going to have a hexa-
24 fluorinated acid that forms.

25 And so this is as I said, this is a side-chain

1 fluorinated polymer. And there is this argument that
2 fluoropolymers are substances of low concern, because they
3 are not bioavailable based on the monomer size, but not
4 based on the size of these substances that break off. So
5 even if we accept the argument for the polymer itself there
6 are ways for these smaller substances to migrate into food.
7 Either through residual monomer, this is something that
8 should be taken care of in the FCN, through the migration of
9 impurities or through the degradation of the polymer and
10 subsequent migration into food. And then once this migrates
11 into food there should be some measure of what is the
12 exposure that could result from this.

13 So most of these submitted FCNs will exclude
14 migration studies, because what they say instead is let's
15 assume the worst-case scenario. We're going to be extra
16 vigilant and say we're just going to do the worst case and
17 just assume that it's the low molecular weight. Oligomers
18 that are left over and impurities and all of those are going
19 to be migrating into the food.

20 And my question looking at this critically is, "Is
21 that actually a worst-case assumption?" Because stability
22 testing, to understand whether these break down or not,
23 usually only take into account heating of the food contact
24 material. They don't think about what are the properties of
25 the food it's in contact with that might interact with the

1 chemicals that are there? And the exposure estimation only
2 takes into account the low molecular weight oligomers and
3 the impurities, and not any potential degradation products.
4 So if we know that side-chain fluorinated polymers may
5 degrade that's not taken into account in these calculations.

6 Furthermore, at least for some of them, it would
7 appear that the detection limits where the low molecular
8 weight oligomers are not that high. So given what we are
9 now seeing what we think of as concentrations of concern for
10 PFAS, are those detection limits low enough to catch them?

11 And there are recent data emerging -- even not all
12 that recent, 2014, which is now six years ago -- show that
13 side-chain fluorinated polymers do degrade the environment.
14 So this is a study looking at the amount of analyte. And
15 you can see here that you have your precursors. And then
16 these are the breakdown products from this polymer here that
17 are appearing in soil after a few months' time. And as you
18 can see, these go up.

19 The big spike here, that's PFOA, certainly of
20 concern. And this will occur in soil on the order of
21 months. So it's not fast. The question is what happens if
22 you have food that's packaged that's sitting on the shelf
23 for a while? Can you expect to see any of this degradation
24 occur there as well?

25 This is another study that was looking

1 specifically at fluoropolymers used in clothing. But again,
2 they saw substantial opportunity for degradation. This is a
3 paper from 2019, so would this also happen for food contact
4 materials?

5 UNIDENTIFIED SPEAKER: (Indiscernible)

6 DR. NG: Oh I'm sorry. Can you hear it, was it I
7 was just holding it too low?

8 UNIDENTIFIED SPEAKER: Right.

9 DR. NG: Sorry about that.

10 And so we know that there is a potential for human
11 exposure to materials from food contact materials, because
12 we see it in biomonitoring, right?

13 So this is a study that came out just last year in
14 "Environmental Health Perspectives" showing a correlation
15 between an increase in PFAS serum concentrations versus
16 typical types of food consumption habits, so consumption of
17 fast food or food not prepared in the home. And that this
18 was corrected against whether there are specific foods that
19 tend to have higher concentrations of PFAS through
20 environmental accumulations, so it really pointed out that
21 consumption of fast food and specifically consumption of
22 popcorn was associated with increases in serum PFAS.

23 So it's more associated with where food is being
24 consumed that is at restaurants or from packaged foods, than
25 which food is being consumed. And so then that points to

1 the point in the food cycle where PFAS are entering and
2 might be causing exposure.

3 So one of the other issues with this, especially
4 as we think about the degradation of materials, is that we
5 have this potential of causing this forever loop, right?
6 So they enter it into the packaging. It might enter into
7 the food from the packaging causing direct exposure, but
8 then once that packaging is disposed of there is a potential
9 for additional entry into the food system when materials
10 such as compost and biosolids are used in agricultural
11 applications.

12 And so we've seen stories like this popping up
13 again and again. Here is a particular sad story in Maine
14 about a farm that applied biosolids from a pulp and paper
15 mill years ago. And after 15 years there the milk was so
16 severely tainted that they could no longer sell it. And
17 basically the farm is lost.

18 So because, keeping in mind this idea about the
19 slow degradation of side-chain fluorinated polymers, are we
20 kind of making ourselves a little time bomb where the slow
21 polymer degradation and high persistence of the products
22 could represent a near-constant source for legacy
23 contamination of the environment? And what can we do?
24 That's kind of depressing.

25 We should think about this from a life cycle

1 perspective, of course. Especially thinking about things
2 like polymers you need to think about the production side,
3 the use side, and the disposal side. We need to understand
4 what constituents are going to be released from the material
5 when it's manufactured, when it's integrated into products,
6 while it's being used and when it's disposed of.

7 And if we want to quantify risk, which is what a
8 lot of us want to be able to do, we want to be able to
9 prioritize and use our resources wisely; we need to know the
10 quantity and identity of all the chemicals involved. And I
11 know that there are different levels of interaction at which
12 this happens, so sometimes governments are privy to
13 information that the public is not privy to. But definitely
14 there needs to be some sort of agreed-upon data sharing so
15 that we as scientists can help in designing models that can
16 help predict the risk of these substances.

17 And of course even while we're trying to reduce
18 our uncertainty we really need to be able to find safer
19 alternatives. And so just a couple of words about this, and
20 so I'm not going to get deep into it, but is something that
21 I do as my bread and butter is developing models to predict
22 the properties of PFAS.

23 So we develop models to help predict whether and
24 why they bioaccumulate. We do a lot of prediction of
25 protein interactions with PFAS and subsequent tissue

1 distribution. We're starting to make models of PFAS
2 bioactivities. So I have a recent application using
3 machine-learning to try to find which PFAS are bioactive
4 just for kind of large-scale screening of many thousands of
5 substances. And then we do some more detailed tissue-level
6 models to understand the toxicokinetics of these substances
7 so we know which ones are going to stick around in the body
8 and may have a chance to have bioactivity.

9 And these models are really useful, because they
10 can really help to screen and prioritize substances when we
11 don't have any experimental data. And then say okay these
12 look kind of nasty. Let's go and try and get experimental
13 data for these to confirm what we see.

14 And then beyond the models I've been working with
15 a group of international scientists to kind of think about
16 ways that we can move forward even in the absence of total
17 surety, which we will never have about anything. And we've
18 been talking a lot recently about this essential use concept
19 which we think can be very powerful in moving forward.

20 So we need to think about what separates
21 substances that are kind of non-essential that are there,
22 because they are kind of cool or they impart something. But
23 the function that it imparts is not essential for the
24 health, safety or functioning of society. And so some of
25 the examples we have here, are for example the use of PFAS

1 in dental floss.

2 Substitutable, so these are uses that have become
3 regarded as essential, but there are other alternatives
4 available. Most uses of AFFFs, certain water-resistant
5 textiles, and I would say a lot of the paper board. I think
6 there's somebody here from Denmark who will be talking about
7 this, which is great because they've made huge steps forward
8 in this and I don't see why we can't follow their model.

9 And then some of the essential uses for which
10 there are currently no substitutes, but which we can think
11 about now this is where we should focus to find substitutes
12 as quickly as possible. And for now food contact materials
13 are kind of in that 1, 2, or 3 zone, depending for which
14 application we're talking about.

15 And I just want to point out that in these FCN
16 data that I look through they usually use this result of a
17 kit test to give as a means to demonstrate the efficacy of
18 fluorochemical treatment in paperboard. So they just have
19 to show that it's really good at repelling oil and grease.
20 How much do we need that? So efficacy is not the same as
21 essentiality. So just because we have a substance that can
22 make something have this function we still need to ask
23 ourselves how much do we need this function? And is there
24 something else that we can have that is not quite as good
25 but certainly good enough and doesn't pose the same risks.

1 So I think that's the question that I think will be key for
2 us to discuss today.

3 And with that I'd be happy to open up to questions
4 or panel discussion later. Thanks.

5 MS. SETTY: We do have time for questions. Do we
6 have any questions from the audience today? (No audible
7 response.)

8 Okay, great. Well let's thank Dr. Carla Ng for
9 the presentation. (Applause.)

10 We're going to move on to our next speaker. Brian
11 Sernulka is a Director of Government Relations for the
12 Foodservice Packaging Institute. Previously he worked with
13 regulatory agencies and policymakers while managing
14 government affairs and sustainability at Graphic Packaging
15 International. Please welcome Mr. Sernulka. (Applause.)

16 MR. SERNULKA: Good morning everyone. Yeah, so
17 I'm a little bit of the opposite of what we just heard. I
18 am not a chemist or a scientist. I started with the
19 Foodservice Packaging Institute in October of 2018. As you
20 mentioned, I previously -- I came from the industry though.
21 I worked for a paper company for several years on
22 sustainability and government affairs. But most of my
23 career has been on government relations working at all
24 levels of government. And I'm certainly interested in this
25 conversation, because we are -- obviously we have a stake in

1 how this is regulated and future policy that's going to be
2 used surrounding this as the debate kind of unfolds. I also
3 went to Georgia State University and have a Master's in
4 political science.

5 I'll give you a little background on FPI. The
6 Foodservice Packaging Institute was established in 1933.
7 It's the only trade association in North America that solely
8 focused on all single-use food service packaging products.
9 We represent roughly 90 percent of the industry. We have
10 several members here in the audience today too. Basically
11 what our association does is we have the entire supply chain
12 in our membership. So from the raw material, the person who
13 is actually creating the item, to the converter, to we have
14 an associate membership where the suppliers or the users of
15 the products are actually members of our association too.
16 So I think this is probably one of the most important pieces
17 of this.

18 What I want to bring to the talk today is
19 following up on the introduction to the meeting, was that we
20 look forward to this collaboration. We look forward to
21 being a part of this process. And what we can do as an
22 association is really take this information back and deliver
23 it to our members. And then when we need to we can bring
24 them into this discussion and have them part of whether it's
25 specific examples or discussion about the supply chain. I

1 think that's going to be really important.

2 Foodservice packaging, the items that we
3 represent, it's basically everything you could possibly
4 imagine on the single-use food service packaging side. So
5 cups, plates, platters, bowls, trays, beverage carriers,
6 bags, containers, lids, domes, wraps, straws, cutlery,
7 utensils; it goes on and on. This is stuff that we use
8 every day. This is stuff that is sanitary, it's cost-
9 effective, safe, convenient, helps drive the economy. These
10 are critical items that we all -- I don't think we realize
11 how much we actually use as a part of our lives. So I think
12 this is a great association that really covers all this
13 stuff.

14 I want to jump through this real quick, because
15 we've kind of already done the PFAS and what it is
16 discussion. And like I said I specialize in government
17 relations and not chemistry.

18 Before us we're looking at the applications for
19 PFAS, so non-stick cookware, small appliances, repeat-use
20 food contact applications. So actually a good reference
21 here is we saw some policy in the northeast last year that
22 would have been introduced, unintended consequences where
23 they were talking about specific packaging items. It
24 actually would have brought up the tubing and hoses that are
25 used in soda machines, so trying to get Coke or anything

1 like that actually would impact it, because it does have a
2 component of PFAS in it. Food processing equipment, food
3 wrappers, obviously paper/molded fiber serviceware, take-out
4 food containers, pizza boxes, popcorn bags, pet food
5 containers.

6 As we've kind of covered off already today it
7 prevents oil and grease from seeping through food packaging
8 materials and onto clothing, skin, furniture, car interiors,
9 etcetera. I mean, you realize what a to-go, based-on-the-
10 road fast-driven economy that we have in this country. And
11 consumers rely on these products to not leak grease into
12 their car or on them, especially if you imagine being like a
13 traveling salesman or something like that. I mean you're
14 eating on the road a lot. You're using these products on a
15 day-to-day basis. And you rely on them to be convenient and
16 safe and perform to the degree that you're not having some
17 sort of issue with this.

18 We've talked about this a little bit already
19 today, but I will say that on the long-chain materials that
20 we had talked about here earlier, PFOA and PFOS, these were
21 voluntarily phased out and are no longer used in the U.S.
22 and Canada. Though I do believe some countries still allow
23 it.

24 So really, what we're here is to talk about the
25 short-chain chemicals. These chemicals are approved by the

1 FDA and Health Canada. For us as an association we cover
2 the U.S. and Canada -- that's why I continue to mention
3 Canada -- plus many regulatory agencies around the world.

4 The FDA process, the FDA requires pre-market
5 review of food contact substances including data on chemical
6 composition; levels of those substances that may be released
7 under intended use conditions and the resulting potential
8 dietary concentrations; toxicity data on the substance,
9 including all impurities and degradation of the products. I
10 think we kind of saw a little bit of that in the last
11 presentation, so I'll move on quickly here.

12 Again, I think the biggest point to take away from
13 this is that the FDA does do a rigorous process to review
14 these products and they are approved. Right now today there
15 is less than three dozen PFAS chemicals that are allowed by
16 the FDA in the U.S. So when you see that big chart that
17 says 5,000 different chemicals when we're talking about food
18 packaging we're talking about a much smaller subset,
19 something that's typically never mentioned in the media
20 articles or anything else. But that is really where we're
21 trying to focus in on the discussion for food packaging.

22 So right now, again, I want to kind of go back to
23 the FDA. So FDA actually put out a statement earlier this
24 year on PFAS substances, there's a lot of material available
25 on their website, certainly will reference you back to the

1 FluoroCouncil on their collection of scientific studies that
2 they have around PFAS substances that are currently allowed
3 in food packaging today. And they right now present no
4 significant risk to consumers.

5 "Using FDA's methodology for calculating estimated
6 dietary intake, the maximum levels of PFAS used in food
7 packaging today are 13,000 times lower than estimated safe
8 levels, meaning the specific PFAS substances approved by FDA
9 for use in food packaging pose no appreciable risk to human
10 health or the environment." This statement came from FDA
11 itself in June of 2019. It's available online. It's
12 something that our industry follows by.

13 So some things that we just wanted to point out,
14 again this gets back to that big large number that is
15 referenced constantly treating all PFAS chemicals the same.
16 That's not the way to approach this discussion. I mean
17 we're talking about less than two dozen chemicals that are
18 actually in food packaging, not the reference to 5,000.

19 And then certainly looking at The FDA approval
20 process, FDA's approval process is one of the most stringent
21 in the entire world. The U.S. consistently has one of the
22 safest food supplies in the entire world. And this is in
23 part due to this approval process and looking through the
24 chemicals that we've submitted.

25 So the Foodservice Packaging Institute put out a

1 position on PFAS last year. FPI supports the continued use
2 of FDA reviewed and approved PFAS in food service packaging.
3 FPI also recognizes that alternatives may be introduced to
4 replace PFAS, and both should be able to compete in a free
5 and open marketplace. So we have more information on this
6 that's found on our website. This was just recently updated
7 and put out last year by our Board.

8 And I just wanted to kind of run through a few
9 other brief comments that we had on things that we see as an
10 industry that continues to be brought up.

11 Right now we don't really see a great, consistent
12 test method I guess is probably the best way to say it. Is
13 that where we look at it and how it's consistently tested, a
14 lot of the articles that you will see will be testing for
15 the presence of fluorine in the environment, but not
16 specifically down to these 13 exact chemicals that are used
17 in food service packaging items. So a lot of the articles
18 could be misleading around exactly what they're looking for,
19 how they're testing, and the chemicals that are under
20 discussion.

21 The presence of fluorine does not mean the
22 presence of PFAS, and certainly doesn't show the type of
23 PFAS. So again a lot of the media attention around this is
24 getting caught up in this larger conversation, but not down
25 to the specific details that are related to food service

1 packaging items.

2 We know of certainly a lot that are out there in
3 the industry: Notre Dame, Iowa State, some of the others
4 that are putting together some of the testing programs
5 around this. And you certainly look at, from a policy
6 perspective each state that is working on this issue is
7 certainly looking at different ways for testing and trying
8 to find a presence for it, which at the end of the day is
9 going to make an inconsistent marketplace and a difficult
10 supply chain for large manufacturers of food service
11 packaging items.

12 This is my contact information. I'm really
13 looking forward to the panel discussion; because I think we
14 can kind of get into some of the more specifics around this.
15 And again I think one of the biggest things is talking about
16 the supply chain and how these products are actually
17 produced and entered into the marketplace. I think it's
18 going to be a really big component to how it could
19 potentially be regulated at the statewide level, certainly.

20 So right now if anybody has any questions I'm
21 happy to answer them. If I don't have the answer to the
22 question we can find it. We'll get back to you and try to
23 get you the answers on the questions.

24 I appreciate the time.

25 MS. SETTY: Thank you. We are ahead of schedule,

1 so if we have any questions for Mr. Sernulka we'd like to go
2 ahead and see first if we have anyone from the audience?
3 And if not -- okay, we've got one.

4 ACTING DEPUTY DIRECTOR PALMER: Hi Brian, it's
5 Karl Palmer from the Safer Consumer Products Program.
6 First, thanks for being here and sharing with us your
7 perspective.

8 I have a general question. You know, we've seen
9 in different industries with similar type challenges,
10 industry or trade organization is getting together and
11 actually being somewhat proactive about making a commitment
12 to move to safer chemistries and looking at alternatives.
13 And I would point to the apparel industry in this space,
14 which started with restricted substances lists and then has
15 I think made a bigger, broader commitment to move forward.

16 Can you speak a little bit about what FPI is doing
17 in terms of being proactive in terms of looking at the
18 challenges in this class? Can we expect to see something
19 out of you in that regard, rather than being sort of being
20 reactive?

21 MR. SERNULKA: Yeah. I think that's a great
22 question. As an industry yes that's what we want to do, is
23 we want to pull all the stakeholders to the table and have
24 this discussion. I think the problem is as you're seeing --
25 this is a great example on the testing side -- is you see a

1 lot of different groups, BPI and others related to
2 composting that are kind of going different directions on
3 this in how they regulate it, how they address it, how they
4 test it. So trying to pull some of that together as an
5 industry is going to be important and it's something that
6 we're currently having internal discussions on.

7 So like I said we put out a statement in 2019 that
8 really kind of sums up our position on this. But it will
9 continue to evolve and grow as the industry continues to
10 have this discussion. So as we sit we represent roughly 90
11 percent of the industry. That's where this discussion is
12 unfolding at right now and I think you will probably see
13 some new things that come out around it in the future. But
14 again it's just something that hasn't been totally discussed
15 or worked out yet for a lot of the groups. So I think that
16 that's something we're working on right now.

17 And certainly we want to try to pull everybody
18 together, because if we all go different directions it's
19 going to make it really difficult on the supply chain, a
20 national supply chain.

21 MS. SETTY: Thank you. Do we have any other
22 questions from the audience? (No audible response.)

23 Okay. Thank you so much for the presentation, Mr.
24 Sernulka. (Applause.)

25 All right, we do have one more speaker before the

1 break who will be presenting remotely so bear with us. Dr.
2 Maricel Maffini specialized in researching carcinogenesis,
3 reproductive biology and endocrine disruption. She has
4 spent the past nine years conducting research on the U.S.
5 Food Additive Regulatory Program with an emphasis on food
6 chemicals, risk assessment and science policy.

7 We will leave some time for discussion with Ms.
8 Maffini after the presentation since she won't be able to
9 join us on the panel discussion this afternoon.

10 Are you ready for us Dr. Maffini?

11 DR. MAFFINI: Yes, can you hear me and can you see
12 my screen?

13 MS. SETTY: Yes, yes. We can hear you great.

14 DR. MAFFINI: Can you see my screen?

15 MS. SETTY: Yes, we can see your screen.

16 DR. MAFFINI: Great, thank you.

17 Well thank you so much for the invitation to be
18 with you this morning. I apologize. I had plans to be
19 there in person, but life got in the way and played some
20 tricks with me this weekend on health-related issues. But I
21 appreciate the opportunity to participate in this workshop.
22 And today I'm going to share with you some of the
23 information we learned from a Freedom of Information Act
24 request to the Food and Drug Administration regarding the
25 use of PFAS in contact with food.

1 So first of all this is my disclosure. I work
2 with public interest organizations with the private sector.
3 I was a co-author of a petition to the FDA to ban long-chain
4 perfluorinated chemicals and that was accepted in 2016. And
5 this work in particular was done in collaboration with the
6 Environmental Defense Fund. But in this talk, the
7 preparation of the talk, the opinions are my own.

8 So very briefly here, since Carla and Brian
9 discussed this already, but I just want to make sure that
10 we're on the same page that PFAS can be used in contact with
11 food because one, The FDA approved the uses in the
12 regulations.

13 Or manufacturers determine that the use of that
14 particular PFAS is generally recognized as safe. And this
15 doesn't mean that the manufacturers have to tell the FDA
16 what they are doing. It doesn't have to go to the FDA for
17 safety review. They can just bypass it and use it based on
18 their own declaration. And of course we don't know anything
19 about those substances the entity uses and their safety.

20 And the third one, that is the one I'm going to
21 focus on today, because it is the basis of our FOIA request,
22 is the Food Contact Notification Program that is based on
23 the review by the agency of the safety assessments submitted
24 by manufacturers to the agency. The agency reviews that.
25 Prepares an opinion and then publishes its decision at a

1 website.

2 That is the inventory that Carla already showed
3 you how it looks like. This is again another caption. It
4 has the search box where if you write the word "fluoro" it
5 will come up with 70 records.

6 And then, if you click on any of the numbers under
7 the column "FCN No." it will lead you to this page, as I
8 said Carla mentioned this already, and show you. But I just
9 wanted to stress a couple of things to highlight kind of the
10 opacity of the program. We can figure out the intended uses
11 and we can figure out the limitations and specifications of
12 uses of the food contact substance, but that is pretty much
13 it.

14 For instance, the limitation of this substance by
15 the company Daikin, it can be used up to 1 percent in the
16 dry fiber. So these are not very small amounts, but just to
17 show you what the FDA is looking at.

18 So because of the lack of information in the
19 public domain we submitted this FOIA request for 31 food
20 contact notifications that had a clear description that the
21 uses were in contact with food. These were 19 distinct
22 chemical mixtures, mostly polymers, 14 of which were used to
23 coat paper and cardboard. Others were used for making
24 gaskets and other pieces of the manufacturing equipment.
25 And this covers six chemical companies.

1 We've received thousands and thousands of pages.
2 Many of them were greatly redacted. But we got visibility
3 in to some of the information submitted to the agency when
4 it comes to the quality and the quantity of information the
5 manufacturers submitted. But also it was important to
6 figure out to get visibility into the agency's reasoning for
7 some of the decisions that they made.

8 So today I'm going to focus only on the chemistry
9 and exposure aspect of the response. As you can see on the
10 right-hand side of the form, it's called 3480, is that is
11 the food contact notification. That is all the information
12 that the manufacturers have to submit. And then FDA
13 prepares reviews and memos for each of these three pieces:
14 environmental, toxicology, and chemistry and exposure.

15 So just for the sake of time these are the seven
16 different sections within the chemistry information. I'm
17 going to focus today on the identity, the impurities,
18 migration and exposure estimates.

19 Again this is something that Carla already
20 mentioned, but this is the type of information that you can
21 see that is submitted by the manufacturers. What I have
22 here in boxes are some of the names of the monomers, the
23 PFAS monomers are used. And in some cases the information
24 is provided in many different ways, some I think in a
25 graphic way and some others just like very long formulas.

1 This is another example of more detailed
2 information that we collected in a few cases where that was
3 not redacted. So this is for instance a description of what
4 the commercial polymer is. That in this case of the
5 Archroma product is approximately an 18 percent polymer and
6 80 percent impurities and reagents.

7 And then the Asahi product is 15 percent polymer
8 and the rest are expected reagents and impurities. And this
9 is important. It will be more important later on in the
10 talk, but this is just the few cases where we have more
11 visibility.

12 So other issues that or other information that the
13 companies have to provide is the list of all the ingredients
14 and the monomers, the solvents, everything that is used to
15 make these polymers. And as you can see here the red box is
16 coming from FDA. It's not mine, all my boxes are green.
17 And you see on the left-hand side a mark there with the
18 green arrow is the PFAS monomer.

19 But also, they have to describe whether or not
20 there will be a residue expected to remain in the final
21 paper or carbon. And as you can see here there are in three
22 cases there will a residue.

23 This is something that FDA already published in
24 2013, of their own research looking at paper, commercial
25 papers. So on the left-hand side the second column is the

1 concentration of the polymers, the two different polymers on
2 the paper. And on the right-hand side between the dotted
3 lines are the concentration of PFAS monomers that FDA found
4 in those papers. So, residues are there and in different
5 ways.

6 So this is just a list of PFAS monomers that we
7 have gotten from the FOIA response. I don't expect you to
8 memorize this, but I wanted to show you that there are
9 different synonyms. When you look at the FOIA papers it is
10 incredible how they changed the names with time. Some
11 things that used to be something demonstrated that had 13
12 fluoro suddenly became a C₆ X Y and Z. So there is an
13 evolution also in the way that companies name their
14 products.

15 In addition to the reagents, the initial
16 ingredients, they have to provide a list of impurities. In
17 most cases again it is redacted. That is important for the
18 manufacturers to not disclose that information, because it
19 gives information about what's the manufacturing processes.
20 That is what they are protecting. But in one particular
21 case somebody forgot to redact this and we have some
22 visibility here on a long list of impurities for this
23 particular food contact substance that is Food Contact
24 Notification 518 from Chemours. Everything that is within
25 those green boxes are PFAS, so you have oligomers, you have

1 a great variety of impurities that the company describes are
2 present.

3 Again, regarding impurities they have to
4 demonstrate whether or not they will migrate from the final
5 product into the food. And in this case that are here -- I
6 forgot to box one at the end -- but there are seven
7 impurities that will migrate into the food.

8 And this is again from the same 2013 FDA
9 researcher's paper, again demonstrated that there is
10 migration up PFAS from two different food packaging
11 materials into food simulants representing in this case as
12 acidic and fatty foods.

13 This is another example demonstrating that there
14 is migration from a variety of PFAS. This is a research
15 group in China. And their migration efficiencies for this
16 particular PFAS will depend on the length of the carbon
17 chain as well as the composition of the food. So that's why
18 you have different results in each of the different columns.
19 And this was a study performed in paper bowls. So because
20 there are residues in the paper and the final product and
21 there is migration the manufacturers need to estimate what
22 the exposure would be. Again, the red boxes are not mine;
23 that came from the FOIA.

24 And in many cases here you can see the values.
25 But in only a couple of cases you see those values, the

1 estimated daily intake, or the dietary concentrations
2 associated with chemicals. All the other impurities here we
3 have an exposure estimate, but we don't know what they are.
4 So that was very common in many cases, so actually we didn't
5 even have this ability into the numbers.

6 So this is a particular case from Food Contact
7 Notification 820, where they have this table with the
8 exposure estimates for impurities. I want to call your
9 attention to the reflection that FDA wrote in a memo saying
10 that these exposure estimates are "vanishingly small." I
11 was just surprised to see that qualification coming from a
12 regulator, but it was interesting to see how their reason on
13 whether or not these exposures can actually have any
14 particular biological effect. So that reasoning that this,
15 the exposures are very small is pretty much what is done in
16 informing the toxicology review that the agency does.

17 So the main focus of the toxicity testing or the
18 toxicity information that needs to be submitted to the
19 agency is whether or not there is genotoxicity, either the
20 monomer or a further monomer or the impurities.

21 Then basically the toxicology session of reviewers
22 are looking at what the exposure estimates are. And in most
23 cases the conclusion is that as I copied here at the bottom,
24 toxicology has no questions regarding the safety of proposed
25 use of the food contact substance based on the exposure

1 estimates and the toxicological evaluation of the data.
2 That is in most cases just genotoxicity and mutagenesis
3 testing.

4 So, what have we learned from the FOIA request?

5 And here I want to just highlight a few, what I see as
6 shortcomings from FDA's reasoning. That safety is driven by
7 the exposure estimates, so if the PFAS monomer is not a
8 genotoxic then the oligomers are also assumed not to be
9 genotoxic. With a dietary concentration of less than 50
10 parts per billion of the monomer or the low molecular weight
11 oligomers the assumption is that there is no safety concern.
12 And just to make sure, the 50 parts per billion in the diet
13 corresponds to 150 micrograms of PFAS per person per day.

14 These are estimates for each individual food
15 contact substance. These are not grouped in any way. And
16 at the toxicity testing again, other than genotoxicity it
17 says they are very rare for PFAS monomers or even oligomers.
18 Even when they know that they remain in the final product
19 and they migrate.

20 So other shortcomings are the fact that all of
21 these food contact substances are usually the monomers are
22 this so-called short chains, so they are six carbons or
23 less. And the assumption is that they don't bioaccumulate.
24 We didn't find any information in the thousands of pages
25 where companies submitted data on bioaccumulation.

1 There aren't any estimates of collective or
2 cumulative exposures through the diet that include other
3 PFAS in not only in food contact packaging, but also
4 environmental contamination. And this is important, because
5 FDA's responsibility by law, this is in the statute of the
6 Food Additives Amendment of 1958, that the FDA has to assess
7 the cumulative effects of chemically and pharmacologically-
8 related substances in the diet basically taking a class
9 approach. And this has not been done as far as I can tell
10 by FDA in a consistent manner.

11 So again, this is to show you on the left-hand
12 side are the PFAS monomers that were allowed by FDA to be
13 used in food contact materials. And on the right-hand side
14 is this list of PFAS that FDA has tested in the last few
15 years. And they published, as Brian mentioned, first in
16 June and then there was another publication in the last
17 month. So none of these that you can see, they don't
18 coincide. So what FDA is testing in food to figure out
19 human exposures are environmental contaminants. They are
20 not testing so far for PFAS that they have approved to be
21 used in contact with food, so there is a disconnect there.

22 And with that -- oh, I think I skipped one --
23 yeah, here. Just to summarize that the agency has the
24 position that low exposures are of no concern. We are
25 lacking estimates of cumulative exposures to PFAS in the

1 diet. If the agency doesn't want to look at environmental
2 sources such as PFAS they should be looking at the PFAS that
3 are allowed to be in packaging and they are in the diet.
4 We're not eating one of them at a time.

5 Again, toxicity testing beyond genotoxicity is
6 lacking. There is no information about bioaccumulation or
7 how the body deals with these monomers and even the
8 oligomers. There is nothing on this short chain, the low-
9 molecular weight oligomers. And it's unclear how they
10 determine the size of the oligomers.

11 Again, this is unclear to me at least what the
12 rationale for some of the assumptions are. Analytical
13 methods to measure this PFAS are also lacking. And just the
14 FDA approved another PFAS for use in contact with food
15 contact a few months ago.

16 And that's all I have. Thank you very much.
17 (Applause.)

18 MS. SETTY: Thank you Dr. Maffini.

19 We do encourage you to ask questions of Dr.
20 Maffini since she won't be joining us for the panel
21 discussion. We want to make sure that those of you joining
22 us by webcast if you have any questions for the speaker,
23 please email saferconsumerproducts@dtsc.ca.gov. We'll go
24 ahead and start. Do we have any questions in the audience?

25 MR. ALGAZI: Hi, Dr. Maffini, this is Andre Algazi

1 here at DTSC.

2 DR. MAFFINI: Hi.

3 MR. ALGAZI: In the table you were showing the
4 PFASs that were being analyzed in the material. And those
5 are not the same ones that were listed as contaminants on
6 the FCN, do I understand correctly, when you spoke about the
7 disconnect?

8 DR. MAFFINI: No, on the left-hand side is where
9 the list of PFAS that were approved to be used in packaging.
10 And on the right-hand side are the PFAS that FDA has been
11 testing in food.

12 MR. ALGAZI: Oh, in food.

13 DR. MAFFINI: Food from retail or from farmers
14 markets. And for instance they are running what is called a
15 "total diet study." That is something that the agency has
16 done for many decades.

17 They buy foods in different retail locations.
18 This one specifically was in the mid-Atlantic. And then
19 let's say they buy three different cereals of the same kind
20 of cereal. They mix it together and from that composite
21 then they measure PFAS.

22 The PFAS that they chose to measure are not those
23 that they approved for use in food contact materials.

24 MR. ALGAZI: Thank you. I understand.

25 DR. MAFFINI: All right.

1 MS. SETTY: Thank you. We have another question
2 over here, if you don't mind stating your name.

3 DR. BRUTON: Hi, this is Tom Bruton with the Green
4 Science Policy Institute. Thank you, Dr. Maffini, for the
5 presentation. My question is --

6 DR. MAFFINI: Hi Tom.

7 DR. BRUTON: Hi. Based on what we know about the
8 toxicology of PFAS does it make sense to you that
9 genotoxicity is the main metric that FDA is using in these
10 reviews?

11 DR. MAFFINI: It should be complemented with other
12 toxicity testing. There are no dietary exposures that I
13 could see. There were a couple of studies submitted that
14 FDA dismissed, they didn't consider they were technically
15 correct. Both I think were 14 days oral dietary exposures
16 for the monomers. And in some cases it was just they
17 actually fed the polymer to the rats. And FDA sort of
18 figured out that they were of low quality.

19 What we found was that one of the companies,
20 Daikin, had dietary exposure studies done. So they have
21 run, I believe it was either a 28-day feeding study or a 90-
22 day feeding study, I'm not sure what the duration was. But
23 in both cases -- well first of all they never submitted that
24 information to FDA. And in both cases they saw liver
25 damage, they saw kidney damage, and they saw tooth damage in

1 the rats.

2 We found those studies in the company's website.
3 They had in their attempt to be transparent they had listed
4 many of the studies they have done. And then we had some
5 conversations with them about that and then they realized
6 that that was a mistake and they took that out. The
7 website, you can't find it anymore, but you can find it with
8 the Wayback Machine. In any case, some information is
9 available.

10 Unfortunately it was not submitted to the agency.
11 And when it was submitted to the agency the agency
12 considered it of low quality. So there was a lot that
13 should be done since we know that these are multi-organ
14 toxicants. And they are acting at extremely low levels and
15 we know very, very, very little.

16 DR. BRUTON: Thank you.

17 MS. SETTY: Thank you.

18 Let's take a question from the webcast. So this
19 question is from one of our online attendees, Pat Rizzuto
20 from Bloomberg Environment. She's wondering, "Even if you
21 don't know the impurities in food packaging fluoropolymers,
22 has your research suggested any differences in the amount of
23 impurities in the PFAS used for low-value paper applications
24 versus other products such as high-value fluoropolymers uses
25 in semiconductors or other high-tech purposes?"

1 DR. MAFFINI: Ooh, I am not a chemist or a
2 chemical engineer. Maybe Carla can help me with that
3 information.

4 When we looked at those notifications the FCNs
5 that were for uses in gaskets for instance, for
6 manufacturing equipment, I think most of them if not all
7 were submitted by Chemours. And in their assessment of
8 migration it was basically no, they didn't see anything
9 coming out from that particular use and in the way the PFAS
10 was used and manufactured. So that was a different kind of
11 material. It was not paper and cardboard.

12 That is the extent of the information I can
13 provide to Pat.

14 DR. BALAN: Was it also a different polymer like a
15 fluoropolymer where the fluorine is in the carbon chain as
16 in the backbone of the polymer as opposed to a side-chain
17 fluorinated polymer?

18 DR. MAFFINI: There was a lot of redaction.

19 DR. BALAN: Okay. Thank you.

20 MS. SETTY: Okay, do we have any questions from
21 the audience?

22 MS. MOLIN: Hi, Maricel. This is Daphne Molin
23 from CalRecycle and I have two questions.

24 DR. MAFFINI: Hi.

25 MS. MOLIN: Hi. I have two questions for you. In

1 the FOIA evaluation that you did and the statement about
2 very small levels of exposure, do they consider accumulative
3 exposure in their evaluation?

4 And then my second question is about end of life
5 and if the FDA evaluation of having these chemicals in the
6 products, do they only look at the use of the product from
7 the direct consumer or do they consider the full life cycle
8 and consider what may happen from say composting or
9 recycling of those paper products?

10 DR. MAFFINI: I will start with the last one. And
11 no, they only look at the safety of the intended uses.

12 So for instance you will see that the same
13 polymer, there are two food contact notifications, different
14 numbers submitted at different times, but they are for the
15 exact same polymer. And that could be that the first one
16 was submitted for uses in paper and paper board but not
17 microwave uses and the second one was for also microwave
18 uses. So every time they change the use they have to submit
19 a food contact notification to the agency. It's not an
20 obligation, but they usually do that.

21 In the same way there are several notifications
22 that have different -- they have the same polymers, the same
23 monomers, but they are different notifications because they
24 changed the manufacturing process. And they continue to
25 change the manufacturing process to reduce the number and

1 the type of impurities. So every time they change the
2 manufacturing process they should inform the agency. But
3 the safety that FDA looks at is just about the use that is
4 reported to them. They are not looking at life cycle.

5 For accumulative exposures I haven't seen any of
6 that. There are memos written by FDA scientists indicating
7 a list of other food contact notifications that were either
8 for the same polymers or very similar polymers and monomers
9 that could be considered under the same class when you're
10 looking at them from the chemical structure perspective. In
11 one case there were like five different ones. And the FDA
12 said these are related chemicals, but they didn't do
13 accumulative exposure for those.

14 And in addition to that, the mandate to the agency
15 is to do accumulative exposure of chemicals in the diet. So
16 if you have PFOA coming an impurity from packaging into the
17 food, and you have PFOA from water, contamination both are
18 part of the diet. And those should be considered together,
19 but that is not the case.

20 Did I answer your questions?

21 MS. MOLIN: Yes, great. Thank you.

22 MS. SETTY: One more question from the audience.

23 MS. RUDISILL: Great thanks. Hi, Dr. Maffini,
24 this is Cathy Rudisill from SRC. I had a question about the
25 total diet study that you compared to the approved monomers.

1 In the total diet study the FDA does are they testing some
2 of the foods that are used at high heat, you know high-fat
3 foods that tend to increase potential for food migration?
4 Or are they more of the sort of retail-shelf type products?

5 DR. MAFFINI: No, this is a very broad group of
6 foods. They test everything. They test fish and meat and
7 poultry and yogurt and dairy and pasta. And even not just
8 things that you buy at the grocery store that are in a
9 package, but they also buy from restaurants. Like they do
10 chocolate cakes and ice cream and produce, fresh produce,
11 and canned fruits and fresh fruits and no, it's a big
12 variety of foods.

13 MS. RUDISILL: Thank you.

14 MS. SETTY: Do we have any other questions from
15 the audience? Do you want to go ahead and answer? Okay.
16 All right, in that case we'll check again with the webcast.
17 Do we have any questions from the webcast?

18 (No audible response.)

19 MS. SETTY: Okay, in that case that takes us to
20 the break. We will reconvene in a little bit more than 15
21 minutes, let's say 10:45, and begin our morning panel
22 discussion. So see you then.

23 (Off the record at 10:28 a.m.)

24 (On the record at 10:47 a.m.)

25 MS. SETTY: Welcome back from break, everyone.

1 Now we're going to get started with our panel discussion of
2 the lifecycle of food packaging products containing PFASs.
3 I'll start with introductions at the far left and then
4 introduce our moderators at the end.

5 So on the left, Brian if you could wave, we've
6 already met Brian Sernulka who is the Director of Government
7 Relations for the Food Service Packaging Institute.

8 Next we have Dr. Carla Ng who is Assistant
9 Professor at the University of Pittsburgh.

10 Next to her we have Daphne Molin who is a
11 Supervisor at CalRecycle with ten years of experience
12 implementing chemical regulations. She oversees the unit
13 focused on the end of life of plastic materials and
14 developing regulations that require food service facilities
15 to use packaging that is reusable, recyclable or
16 compostable. Her unit is also engaged in evaluating
17 innovative recycling processes, the compostability and
18 degradability of new materials and the impacts of plastic
19 materials. Ms. Molin would you like to make some opening
20 remarks?

21 MS. MOLIN: Sure, thank you. I think that was a
22 pretty good and kind of fast summary. Yes I was at DTSC for
23 ten years and recently moved to CalRecycle as a Supervisor,
24 formerly with the Safer Consumer Products Program, so I'm
25 well-versed in the types of questions Simona will be asking

1 us.

2 Also as my unit in CalRecycle we focus on plastic
3 recycling and issues that relate to that. So we have some
4 upcoming regulations that will be coming out that also
5 address foodservice packaging, thinking about the
6 reusability, recyclability and compostability of those. And
7 then woven into that is consideration for impacts to public
8 health and to wildlife. So we've put out regulations last
9 year, and PFASs are a consideration in that.

10 And then the other element that my unit works on
11 that kind of relates to this area is when we think about
12 compostable plastics it's a really complicated landscape,
13 especially for consumers not understanding the distinction
14 between the words. So there is a state law about how those
15 types of products can be labeled. And CalRecycle got some
16 funding from some settlements from the district attorneys
17 and some product manufacturers about their products.

18 And so we are using some of that funding to
19 evaluate total fluorine in compostable products, if they get
20 into compost and into compost leachate. And then the
21 researchers are also looking into possible remediation
22 approaches as well. Thank you.

23 MS. SETTY: Thank you. And we are going to skip
24 over our moderators for the moment. And next to them, if
25 you don't mind waiting, we've got Jen Jackson who manages

1 the Toxics Reduction and Healthy Ecosystems Program at the
2 San Francisco Department of the Environment. Ms. Jackson's
3 team has led several initiatives to reduce the demand for
4 PFASs, including legislation to ban PFASs in single-use food
5 serviceware in San Francisco. Ms. Jackson would you like to
6 make some opening remarks?

7 MS. JACKSON: All right, thanks for having me.
8 Can you hear me okay? So in San Francisco in 2018 we passed
9 legislation that bans the use of fluorinated chemicals in
10 takeout food serviceware. And that actually is grounded in
11 work that we did in our own purchases. So we run two
12 hospital cafeterias and when we found out that perhaps some
13 of the products that we were purchasing for takeout food
14 serviceware might contain fluorinated chemicals we decided
15 to investigate.

16 We did some testing and we found that about 40
17 percent of the products that we were purchasing did have
18 fluorinated chemicals and about 60 percent did not. And so
19 the good news is that lots of them did not, and that that
20 showed to us that they were not essential uses, that PFAS is
21 not an essential use in that product category.

22 So we actually had a term contract come to term
23 and we were able to put out for a bid a new contract, and
24 had a number of bidders that in that contract specified that
25 there would be no PFAS in any of the food serviceware that

1 we purchased. And we had a successful bidder. We've been
2 working with that contractor for the last couple of years
3 and ensuring that what we buy does not have fluorinated
4 chemicals.

5 In that process we found that some of the products
6 that we were looking at were certified as compostable that
7 did have fluorinated chemicals, so we reached out to the
8 certifying body, the Biodegradable Products Institute with
9 Rhodes who's right here, he's from there, and we contacted
10 Rhodes and said, "Hey, did you know that there's this
11 issue?" And at the time they weren't aware of it.

12 And so in the spirit of what Jared said earlier
13 today we worked really collaboratively to address the issue.
14 And they updated their certification standard, which meant
15 then we could look at our whole entire city since BPI
16 continues to maintain a product registry of products that
17 would not have fluorinated chemicals. And their new
18 standard went into effect in 2020 and just two weeks ago.
19 And so our ordinance specified that no food serviceware in
20 San Francisco would contain fluorinated chemicals.

21 And we operationalized that by pointing to the BPI
22 certification. So if you are a taqueria and you're buying
23 food serviceware, if you look for the BPI logo then you will
24 be in compliance.

25 So that went into effect two weeks ago for us as

1 well, and so we're really in a transition period working
2 with a lot of the different food service operators, from big
3 chains to small mom-and-pops to educate them and then help
4 move them towards the right products.

5 MS. SETTY: And next to Jen Jackson we've got
6 Rhodes Yepsen. Could you wave please? Great. He's the
7 Executive Director of the Biodegradable Products Institute.
8 He's a national expert in residential food scraps collection
9 and processing with a focus on maximizing organics diversion
10 through the use of compostable packaging. Mr. Yepsen do you
11 have some opening remarks?

12 MR. YEPSEN: Sure, yes. Thank you. Here at BPI
13 we are primarily a certifier of compostable products. We
14 also advocate and educate around their use an organic waste
15 collection and processing systems. And I think it's
16 fortuitous that I'm between Jen and Tom.

17 As Jen mentioned we started talking about this at
18 BPI around 2016, which was in my first year as the Executive
19 Director of BPI. And we had had some previous relationships
20 I had with the San Francisco Department of Environment. And
21 as we started discussing that and what BPI's role could be,
22 it led me to a workshop at the Green Science Policy
23 Institute that really helped inform what our position could
24 be around fluorinated chemicals.

25 And so throughout 2016 with initial discussions

1 and then the 2017 workshop, by the end of 2017 we had come
2 to a decision about what our rules should be. So our rules
3 were passed in 2017 to forbid the entire class of
4 fluorinated chemicals, which we do through an initial screen
5 of 100 parts per million total fluorine, and then also
6 looking at intentional use, so looking at the safety data
7 sheets for every ingredient used.

8 I think it was interesting this morning to connect
9 it back to this morning looking at hazard traits versus
10 toxicological hazard traits. And we were really looking at
11 the hazard traits in trying to figure out what our role was
12 -- we're not the FDA -- in looking at persistence, mobility
13 and bioaccumulation specifically for compost quality. So
14 that's why we decided to enact that policy.

15 MS. SETTY: Okay, thank you. And our last
16 panelist is Dr. Tom Bruton who is a Senior Scientist at the
17 Green Policy Institute. He leads research on PFASs and
18 works to bridge science, policy and business. His previous
19 research at UC Berkeley focused on the cleanup of chemical
20 contaminants including PFASs in soil and groundwater. Dr.
21 Bruton, would you like to make some opening remarks?

22 DR. BRUTON: Sure, thank you. So if you don't
23 know it, the Green Science Policy Institute is a scientific
24 NGO based in Berkeley. And we work with a variety of
25 stakeholders to reduce the use of harmful chemicals in

1 consumer products like food packaging.

2 As you heard before my current gig at Green
3 Science Policy where I've been for about three years, I was
4 a graduate student at UC Berkeley researching ways of
5 cleaning up PFASs once they become groundwater contaminants,
6 specifically in the context of firefighting foam that
7 contained PFAS. So I've been thinking about this group of
8 chemicals for what feels like a long time now.

9 Our perspective at Green Science Policy is that
10 the entire class of PFAS, all of these chemicals are a
11 concern. And the main reason for that is the high
12 persistence that we've heard about. That's a characteristic
13 across the class. You know, some PFAS are more persistent
14 than others. Some break down in to other PFAS that are then
15 highly persistent. But that is a characteristic that is
16 shared across the class.

17 And because of that, that leads to the potential
18 for widespread exposure. We see that these chemicals can be
19 transported long distances through the oceans, through the
20 atmosphere, and end up in food chains far from where they
21 were produced or used.

22 Also, some or a number of the PFAS that have been
23 the most studied, and that's a growing handful now, are
24 associated with adverse health effects. So for all of these
25 reasons we think that this entire class needs to be

1 approached with precaution and should really only be used in
2 applications where they're necessary.

3 And I'd submit that food packaging, or food
4 service packaging is probably one of those applications
5 where they're not truly necessary. And the reason that I
6 can say that is because we were involved in the study a
7 number of years ago, actually it was headed up by Simona, in
8 which we and our colleagues collected about 400 samples of
9 fast food packaging from around the country from different
10 types of establishments, different types of packaging,
11 wrappers, boxes, etcetera. And we screened all of those for
12 total fluorine as a proxy for PFAS. That's not exactly the
13 same thing, but a good proxy. And what we found is that
14 only a third of those samples contained total fluorine at
15 levels that looked like PFAS.

16 What it tells me is that two thirds of those
17 samples didn't contain PFAS. And so there are alternative
18 materials out there already. And so that's how we approach
19 this.

20 MS. SETTY: Great. Thanks, Dr. Bruton.

21 Now we're going to jump back to the middle and
22 introduce our moderators. First I'm going to introduce you
23 to Dr. Simona Balan, if you can wave please. She's a Senior
24 Environmental Scientist in the Safer Consumer Products
25 Program where she leads the teams working on PFASs. Prior

1 to joining the DTSC she was Senior Scientist at the Green
2 Policy Institute managing international projects on the use
3 of flame retardants and PFASs in consumer products.

4 And then next to Dr. Balan we have Jennifer
5 Branyan, if you could wave. She's an Environmental
6 Scientist also in the Safer Consumer Products Program.
7 Prior to joining DTSC she spent the past seven years as a
8 chemist and project lead in a large-scale manufacturing
9 company.

10 So with that I'd like to pass it on to our
11 moderators to lead the panel discussion.

12 DR. BALAN: Okay. Thank you so much, Asha.

13 And thank you everyone for taking the time to be
14 here today on the panel and in our in-person and online
15 audience. I think that this is a very fascinating topic and
16 I look forward to the next hour-and-a-half of our panel
17 discussion.

18 So the purpose of this workshop is really to help
19 us understand what we here at the Safer Consumer Products
20 should do, what would help for us to do under our regulatory
21 framework.

22 So Andre started the day off by explaining the
23 four steps of our process. For food packaging we are very
24 much at the beginning. We're trying to understand if it
25 makes sense for us to propose a Priority Product that

1 contains -- food packaging containing PFASs, and if so what
2 food packaging products. So I'm hoping that our discussion
3 today can help us kind of shed some light on this universe
4 food packaging with PFASs and where it makes sense for any
5 kind of regulatory involvement as part of our program.

6 So I welcome everybody in the audience, in-person
7 and online, to contribute to the panel discussion
8 throughout. But I'd like to get us started with something
9 where actually Carla left off in her talk and then Tom
10 picked that up, the question of essential uses.

11 All right, with food packaging Tom mentioned that
12 paper that we did a while ago. There we looked specifically
13 at fast food packaging, but there are a lot of different
14 types of food packaging that contain PFASs currently. And
15 so if I remember correctly, on Carla's slide food packaging
16 was listed as either 1, 2, or 3 depending on the
17 application, right? So for some of them potentially the use
18 is essential, for some of them the application is essential
19 and useful for society, but there are alternatives. And in
20 some applications perhaps it's easily substitutable, because
21 either it's not essential or there are very readily
22 available alternatives.

23 So I'd like to see if we can unpack that a little
24 bit and see within the universe of food packaging, which
25 types of products would fall under these three different

1 categories. What's really essential and what's easily
2 substitutable.

3 DR. BRUTON: I'll start. I'll just throw
4 something out there. I think that Carla mentioned food
5 contact materials being in those categories 1, 2 or 3. And
6 I think some of the food contact materials that are not
7 packaging maybe are the ones that (Audio drops out) -- to
8 move?

9 UNIDENTIFIED SPEAKER: Your mic.

10 DR. BRUTON: Am I too far away?

11 UNIDENTIFIED SPEAKER: Yes.

12 DR. BRUTON: Okay, thanks.

13 I was just saying that there is more, that food
14 contact materials are a broader universe than food
15 packaging. And they include things used in food processing
16 for instance that I have a feeling might be harder to move
17 away from. And part of that is that personally I just know
18 less about what those materials are and what those
19 applications are. There's not a lot of publicly available
20 information out there about them.

21 DR. NG: So yeah, maybe I'll pick up from there.
22 So that's exactly right. So we, when we put the paper
23 together we're talking about food contact materials in
24 general.

25 And also, before I start that let me put in the

1 most important caveat. And that is when we have something
2 that's Category 3, which we call an essential use, we want
3 to make sure we say that this is essential, not because it's
4 going to stay there forever, but because there is no current
5 substitute for it. And we would like everybody to focus on
6 quickly finding substitutes for those things if it is deemed
7 that the presence of PFAS in those uses poses a risk.

8 And so the ones that are, as far as I remember
9 from the paper, the ones that are currently classified as 3
10 are more the terraqueous (phonetic) that I mentioned as sort
11 of like the greasers within the moving parts of the big
12 machinery that's used for processing food. Whereas the
13 things that we're talking most about, which is direct
14 contact food packaging materials were definitely Category 1
15 because one of the basis for us making these classifications
16 in the paper was a lot of the work that is being done in
17 Denmark right now where they've basically removed PFAS from
18 paper products in contact with food. And so we know it's
19 possible, has already been done.

20 MS. JACKSON: May I jump in? For us we mostly
21 are buying sort of your typical takeout foodware, so we're
22 not looking at the larger universe. But in the
23 presentation, I think it may have been yours Carla, where
24 you talked about this broader universe. And I was thinking
25 to myself the lubricants, the mold release agents, these

1 kinds of things are potentially in the food packaging
2 whether or not it was intentional. And so to me I feel like
3 that the definition of food contact or food packaging
4 materials that DTSC is looking at should be broader. I
5 noticed that you did say that it would include mold release
6 agents. But there are these lubricants on processing
7 equipment, all kinds of other PFASs or products that are
8 used that have PFAS in them that I think need to be
9 considered.

10 DR. BALAN: And to clarify, would those qualify as
11 food packaging?

12 MS. JACKSON: Since they are ending up in the
13 product. So for example we did some testing in products and
14 we were surprised by some of the results, because the folks
15 that were manufacturing them said, "We don't have any
16 chemistry that has fluorinated chemicals in the product
17 itself intentionally added."

18 And then we found that it was actually the mold
19 release agents and the lubricants used in the equipment to
20 manufacture those products that were causing these high hits
21 of fluorinated chemicals in the product itself. So that
22 product is going to go into compost and potentially
23 contaminate that compost. So we need to look at the whole
24 way the product is produced, not just the product itself and
25 the intentional ingredients in the product.

1 MR. YEPSEN: Yeah, so I would concur with that.
2 And that's one of the reasons we have that sort of two
3 approaches for our restriction. So we're not just looking
4 at intentional use in the ingredients that are used, because
5 that wouldn't cover things like mold release agents. And
6 we're not just looking at the total fluorine, because that
7 could miss things as well. It's just sort of a general
8 screening test. It's an indicator, it's not definitive.

9 So we agree with that and that you really kind of
10 need multiple approaches. And that's also why we -- well we
11 know that it was intentionally used in only really one
12 category of product that we certified. We decided to have
13 the rules across all products that we certified, because we
14 didn't want to make any assumptions. So I would just agree
15 with that.

16 DR. NG: If I can follow up also a couple of
17 things. One is to go back to a question that I think that
18 was asked of Maricel about whether high-value polymers are
19 going to be cleaner. And I don't know for sure what exactly
20 the industry knows about this, but my guess is that from the
21 evidence we've seen these are very messy chemicals to
22 produce. We saw a bunch of redacted impurities here. We
23 know from what's happened in Cape Fear that some of the most
24 problematic chemicals are things that the industry did not
25 know they were producing, they're unintentional byproducts.

1 And so actually I want to come back to something
2 that Brian mentioned earlier about how there are about three
3 dozen chemicals that are approved for use in food contact
4 materials and whether it should be right that we focus on
5 those. I think we need to focus on those materials and the
6 unintended products that happen when you produce those
7 materials.

8 And so in thinking about testing for what comes
9 from these materials, I think something we haven't mentioned
10 yet, we talked a little bit about total fluorine, but in
11 general the use of non-target analysis and what people are
12 thinking about this. It's kind of expensive and complicated
13 but it seems like an important thing to try and evaluate
14 what's actually ending up in the materials that are used in
15 food contact.

16 MS. MOLIN: I just have a couple of little
17 perspectives to add. I agree a lot with what the panelists
18 are saying here. And I think the question of necessity gets
19 really complicated pretty quick, because it depends on your
20 perspective, and necessary to whom and thinking about even
21 like with alternatives. For example, right now there's a
22 lot of conversation in CalRecycle about the clamshell, the
23 to-go container where you get your sandwich. And there's
24 many different ways you can transport that sandwich, and the
25 molded fiber has a lot of great values for it in if it could

1 be compostable in a really safe way without the PFASs.

2 And I think that's a really tricky area to
3 navigate knowing that there's many sources to PFASs in the
4 product manufacturing's supply chain. So when I think that
5 we have to think about these questions in kind of a
6 multidirectional sense, necessity, thinking about CalRecycle
7 going to two site visits so far and there is so much plastic
8 out there, there's so much waste out there. And I know that
9 Safer Consumer Products has a particular lens by which they
10 think about alternatives, but I think also encouraging
11 conversations to get away from the disposable society so
12 that you don't have so much. And pushing or encouraging
13 more for the re-usables and not just by de facto everything
14 has a to-go container. I think that's one important
15 element.

16 And it's a bit of a low-hanging fruit. There's so
17 much traction nationally to get PFASs out of food service
18 packaging. And there's several organization setting
19 proposed levels for what "intentionally added" looks like.
20 And it seems like if that's the direction that things are
21 going, then kind of a collaborative approach in that sense
22 could be one way that makes sense. There's a mention of
23 kind of having a consistent supply chain and kind of evening
24 out the market. So I think that could be a consideration.

25 DR. BALAN: Basically sounds like we need to

1 consider not only the intentionally added PFASs to food
2 packaging, but also the manufacturing impurities from the
3 production process from the mold release agents, the
4 lubricants and any other sources that may end up in the
5 final product.

6 And I wanted to follow up also on Carla's last
7 comments regarding the number of PFASs that are found in
8 these products. I believe Maricel mentioned there were 19
9 different food contact notifications that were approved for
10 use by FDA for any kind of food contact, whether it's in
11 packaging or in these industrial processes. And as we have
12 heard those 19 substances that are approved contain a lot of
13 impurities or they have degradation products. So the actual
14 number of PFASs that we expect to find in the food packaging
15 will definitely be larger than that, right?

16 So I have a couple of questions about that, I am
17 trying to understand. So one, out of these 19 FCNs that are
18 approved, these 19 substances that are approved, do we know
19 if all of them are being used?

20 My understanding is that once something is
21 submitted to FDA it's usually not withdrawn even if the
22 substance is not used. I think Chemours is now doing
23 something kind of unique where they are withdrawing their
24 food contact notifications. But I wonder if anybody is
25 aware if all of those remaining, what 16 or 17, if all of

1 those are currently being used in food packaging for food
2 processing equipment?

3 If anybody in the audience knows, please, or
4 Baoku, if we get any comments from online please let us
5 know. All right, so that is something that we are -- oh,
6 yes?

7 DR. BRUTON: I don't know the answer to your
8 question, but I have a question about your question.

9 Do we know how much of that world of chemicals
10 used in the equipment in food processing is captured by
11 those FDA FCNs, or the lubricant on a machine, is that
12 approved?

13 MS. BRANYAN: When you go in to their -- oh, I'm
14 sorry -- they're each specified for an intended use. So
15 every time that you have its own complex (indiscernible),
16 it's for its own specific use. So even if you go in there
17 and you look at one that's specifically for coated paper or
18 paperboard or something like that you might find that same
19 distinction of the chemical, but for, it'll say "lubricant
20 for machinery," or it will say something else.

21 So the ones that we pulled here, like the 30 that
22 are approved of the FCNs or the 19 distinct formulations,
23 are specifically for food packaging.

24 DR. BALAN: If anybody knows an answer to Tom's
25 question? Yeah, please.

1 MR. MAYHOOD: I'm Clay Mayhood. We do review the
2 lubricants at a certain point in the packaging preparation.
3 So we are at the end point where we're making paper that's
4 going to be printed and made blanks and made into packaging.
5 Our lubricants and our oils are FDA approved. I've made a
6 note to see if we got PFAS in them or not, but right now
7 they are FDA approved.

8 DR. BALAN: So I think, in general, everything
9 that's in contact with food would have to be approved by FDA
10 through the FCN process unless it is generally recognized as
11 safe.

12 And that's also something I would like to come
13 back to because I've been really struggling to figure out if
14 there are any PFASs approved as GRAS or basically recognized
15 as safe through the GRAS designation? And there are none
16 listed in the inventory of GRAS substances on the FDA
17 website, but that doesn't mean that there aren't any.
18 Because if I understand correctly from what Maricel said
19 earlier manufacturers can make the GRAS designation and they
20 don't actually have to inform FDA.

21 At a workshop that Washington state held last year
22 I asked this question. And a representative from Daikin
23 said that there are no PFASs that are GRAS that are
24 generally recognized as safe. And so what I am wondering
25 is, I understand that there are no GRAS PFASs from Daikin,

1 but since a lot of this is confidential business information
2 Daikin probably doesn't know if any of their competitors
3 have any PFAS that are approved as GRAS. So I'm just
4 curious if anybody has any more information or concrete
5 information as to whether there are any PFASs that are being
6 used and have these GRAS designations from other
7 manufacturers as well?

8 Black box, we're trying to crack it. (Laughter.)
9 Yeah, we have a comment there in the audience.

10 MR. WAGGONER: Yes. I'm Mike, I'm with Corumat and
11 we make packaging. And it's tough, because like the machine
12 uses lubricants. And even determining what's food-contact
13 okay or incidental food contact okay usually just means
14 going to a website. And so like it would almost be nice if
15 there was a list of safe lubricants published by California
16 or something just so we would have like a second place to
17 look. Because right now I just have to go to the website
18 that sells lubricants and then search for "food-safe," and
19 then that's my validation. So if they say it is, it is, but
20 there's not like an extra level past that.

21 MS. ROBIN: Hi, I just would reiterate that. The
22 manufacturing facility that we have, and that we're
23 building, all of that has to be audited for food safety.
24 And all of the equipment and so on, we make sure everything
25 has FDA approval. And then we go to another level in terms

1 of hygiene and food safety. That's not to say that as we've
2 discussed some of those things that are currently FDA
3 approved may contain some PFAS such as tubing and some other
4 things.

5 And as far as the other question about GRAS I'm
6 not aware of that there are any PFAS GRAS approvals.

7 MS. SETTY: Would you mind stating your name for
8 the record?

9 MS. ROBIN: Renee Robin.

10 MS. SETTY: Thank you.

11 MS. ROBIN: Thanks.

12 MR. COFFIN: Scott Coffin, Division of Drinking
13 Water. Just a super-quick Google search like literally from
14 two minutes ago, there I found one PFAS in the GRAS list,
15 1,1,1,2-Tetrafluoroethane. It's probably really volatile
16 and it's a two-carbon hydrofluorocarbon, but it's not
17 comprehensive.

18 DR. BALAN: And what is it used for?

19 MR. COFFIN: It is approved in food packaging as a
20 flavor and extraction solvent for food flavors.

21 MR. WAGGONER: I just had another thought. So one
22 of the -- there are standards set forth by the government
23 and they're actually really quite low for safety. But the
24 fast-food chains quite often care more. And so there is
25 like GFSI and SQF. And those are both manufacturing

1 standards that we have to hit. And manufacturers tend to
2 get really pissed off when it's the government that's coming
3 in there. But if it's their customers saying, "We want you
4 to hit this."

5 And so right now there is a certain fast-food
6 chain using molded fiber that has a lot of egg on their
7 face, and other ones don't want that. And so if other fast-
8 food chains were to adopt this issue then like I know it
9 would be much easier to get my manufacturing partners to
10 adopt it, rather than just trying to push it forth in
11 legislation. Oh, this is Mike Waggoner.

12 MS. RUDISILL: Hi, this is Cathy Rudisill from
13 SRC. We're working with the Washington State Department of
14 Ecology on a PFAS and Food Packaging Alternatives
15 Assessment. And we have been engaging with some
16 stakeholders about the issue of what PFAS are actually being
17 used as far as what's been approved by FDA and what is
18 actually being used. I don't have a concrete conclusion on
19 this, because we are relying very much on what FluoroCouncil
20 has been telling us. But they did indicate that there is a
21 subset of what is actually on the FCN list that is actually
22 commercially relevant with regards to the sidechain
23 fluoropolymers.

24 How that is relevant to the polyfluoroethers I'm
25 not sure, and again this is just going off of what they're

1 telling us. There's really no additional information to
2 support that as far as capacities or use levels, that sort
3 of thing.

4 DR. BRUTON: In that same vein I can say that it
5 is written in the scientific literature that the 2 main
6 types of PFAS used right now to impart grease and oil
7 repellency to paper products are the C6 side-chain
8 fluoropolymers and perfluoropolyethers. And I've heard that
9 from folks in industry as well, but again no specifics.

10 DR. BALAN: Some of the compounds in the EDF FOIA
11 package though had PFOA listed as an impurity, so that's a
12 C8. I don't know if anybody knows whether those particular
13 compounds are still being used, the ones that have PFOA
14 impurities.

15 MS. RUDISILL: Well, I still have the mic, so I'll
16 just mention it again, I asked the same question. And when
17 we had interacted with FluoroCouncil they were emphatic in
18 saying that that they're -- the C8 and C10s are no longer in
19 use. Furthermore, the diPAPs that had been initially
20 approved earlier on some years ago are not in use anymore
21 within the United States, "emphasis added." Yeah.

22 DR. BALAN: All right, thank you.

23 MS. JACKSON: I just wanted to add I'm going to
24 channel Jennifer Field. So I attended a conference where
25 she talked about the manufacture of fluorocarbons. And she

1 likened it to hydrocarbon manufacturing where you're looking
2 for say a C6, that's what you're aiming for, but you get all
3 this other stuff. And so -- and probably Carla, you could
4 speak to that from a chemical engineer's perspective -- but
5 you would get a C10 residual or impurity and maybe C4s and
6 C3s. So it is very common and very likely that you would
7 have a C10 impurity PFOA.

8 DR. NG: Let me turn on my mic, can I ask a
9 question? About sort of the food packaging landscape in
10 terms of regulation, we're talking about what should be
11 allowed by the FDA for example here. A lot of Americans get
12 a ton of their food from internationally-traded foods. What
13 is the landscape in terms of regulating food contact
14 materials coming from outside the U.S.?

15 DR. BALAN: Do you want to take that question?
16 That was going to be my follow-up question, so thank you.

17 DR. BRUTON: Maybe to make it more concrete we
18 could ask if a manufacturer is manufacturing something like
19 a molded fiber product in China say, is there follow-through
20 on that supply chain to make sure that that factory is not
21 using a long-chain PFAS?

22 MR. MAYHOOD: If I may, I was just saying about
23 fiber solutions, I won't give you the molded fiber. But on
24 a package, a bleach package, a bleach board package there
25 are a lot of materials -- and we talked last night -- there

1 are a lot of materials that actually board from the United
2 States, it will go to China. It will get printed. It will
3 be converted into blanks. It will get shipped back to the
4 fulfillment centers where the food is being packaged and go
5 through that. And yes, they are subject to the rules and
6 regulations of the FDA to do that.

7 Having said that, you can also know that
8 properties or paper coming from China and other Southeast
9 Asia countries are also supposed to adhere to sustainable
10 forestry practices. And you may have heard about several
11 times when companies go in and do an audit they're finding
12 original-growth forest fiber being present, having to go
13 through that.

14 So there's a diligence that's required on the part
15 of the brand owner and the distribution centers to make sure
16 that it's actually done. So I think the bottom line there
17 is you have to question how well are you auditing that whole
18 process in making sure that compliance is indeed maintained.

19 MS. VENTURA: Hi, my name is Andria Ventura with
20 Clean Water Action. And I'm sorry, I came in late. So if
21 this has been covered just tell me that and I'll catch up.
22 But one of the things I am concerned with is as we're trying
23 to do many things, and I know San Francisco is doing this,
24 trying to deal with waste streams as well as toxic
25 chemicals. What concern do manufacturers have with recycled

1 material coming back through? And if you've covered that
2 just tell me.

3 DR. BALAN: No, actually, that was going to be our
4 next topic. So that's a perfect segue.

5 MS. VENTURA: Okay, never mind. We'll go into
6 that.

7 DR. BALAN: No, that is a great segue. So yeah,
8 let's talk a little bit about where do we have exposure
9 sources along the lifecycle of this food packaging. So
10 there is this black box of, this lack of knowledge about
11 what PFASs are actually being used right now. But maybe we
12 can tackle a little bit of this issue of where we have
13 exposures throughout the lifecycle.

14 And Brian, earlier you mentioned the importance of
15 understanding the supply chain. I think that's something
16 that we definitely struggle with like understanding where
17 the PFASs are being introduced and where there may be
18 exposures during manufacturing. But also at the end of life
19 during recycling, composting, landfilling or perhaps
20 incineration what are the exposures there?

21 So I don't know if you want us to start this
22 discussion, but please tell me.

23 MS. JACKSON: I could chime in really quickly. So
24 from San Francisco's perspective we are concerned perhaps
25 more than just the use phase, we're more concerned about the

1 beginning of production or the production phase, and then
2 the end of life. If we are to agree that FDA's exposure
3 assessments are accurate then we would say, "Okay, that
4 piece," is not a lot of exposure perhaps. But for people
5 who are manufacturing these products they are going to have
6 far more exposure than my 15 seconds of a burrito on a
7 plate.

8 And then at the end of the use phase when it's
9 going to a compost facility if those materials are not
10 breaking down, so if PFASs are not breaking down, I have
11 said this before, it's kind of like a bathtub with no drain.
12 We're just continuing to fill up this bathtub and cannot
13 break down PFAS chemicals at that end of life.

14 So for us, we are trying to change the demand the
15 city of San Francisco has so that we can really address
16 those two other use phases, but also of course to protect
17 our citizens in the compost that we generate.

18 MR. SERNULKA: I'll just say I think that if
19 you're looking at recycled paper, it would be very difficult
20 to say when a bale comes into a recycled paper facility, if
21 somebody threw an antique magazine or something that may
22 have long-chain PFAS in it from 30 years ago. And that
23 shows up as a part of that bale, you wouldn't be able to
24 catch something like that. And I don't know if that would
25 actually impact the end product at the end of the day, just

1 one thing.

2 The other part of this is that foodservice
3 packaging is less than 2 percent of your waste stream. So
4 in those bales that are going into recycled paperboard, like
5 if it's a paper cup or something like that it's a very small
6 percentage. And so it's not going to show up in large scale
7 when you're looking at the bales. I mean, mostly what
8 you're seeing is cardboard boxes or newspaper or however you
9 layer. Whatever that end product that's going to come out
10 of the recycled paperboard mill is, it's whatever that mix
11 is that's going in. And for recycled food packaging items
12 it's going to be very small, a very small percentage of
13 that.

14 DR. BALAN: Well, approximately what percentage of
15 food packaging is recycled?

16 MR. SERNULKA: I don't have any of those numbers
17 with me here. I couldn't give anything like that. But I
18 mean if you're just looking at the entire waste stream and
19 then you work your way down to that number that ends up at
20 that specific recycled paper mill, it's the bale, it would
21 just be very difficult to ascertain like is it cups or
22 whatever is coming in that specific bale.

23 MS. MOLIN: So I think waste can kind of go in
24 maybe three different directions: landfill, compost and
25 recycling. I think there is potential for PFASs to get in

1 through any of those mechanisms. So I think just kind of
2 going back on the recycling piece, I mean it's my
3 understanding these PFASs don't degrade, right? So if
4 you're going through the recycling processes the paper
5 products that go through kind of like a slurry, and the
6 intent is to get the fibers and then use that for a new
7 product. Maybe PFASs go along with the new product. Maybe
8 they're in that residual water that's used for the recycling
9 process. And then what happens to that really depends on
10 the regional water quality requirements for that, which can
11 be kind of a patchwork legislation or regulation. So I
12 think that that would be one area to think about.

13 You know, kind of going back to my earlier
14 question about the accumulative exposure. It's true that
15 the food service packaging is not a huge component of these
16 bales. But when these recycling facilities are processing
17 so much of it, and the PFASs aren't breaking down, they go
18 to the water and then what?

19 And then I think Jen covered the compostability
20 piece pretty well. We really want compost to be a commodity
21 that can be sold. And if there's going to be enough PFASs
22 in there that that's going to get in the way of that and
23 kind of mess up that whole batch.

24 MR. SERNULKA: Not speaking on the compost side,
25 but just the recycled paperboard then you would have to take

1 that. And it would become like food service packaging,
2 again which it isn't. So that process, again it wouldn't be
3 an issue.

4 DR. BALAN: What does it usually become?

5 MR. SERNULKA: Oh it's going -- I mean, whatever
6 the company is selling. I don't want to speak for those
7 specific companies, but they're not going to manufacture --
8 whatever it is, it's not going to -- the percentage would be
9 very low.

10 DR. NG: Can I just -- oh, sorry. I just wanted
11 to ask a clarifying question. So is paper intended for food
12 packaging not supposed to be recycled paper? Is that right?

13 MR. SERNULKA: Is what?

14 DR. NG: You're not allowed to use recycled fibers
15 in making food packaging?

16 MR. SERNULKA: Companies would need to speak on
17 that individually over what they do with their customers and
18 how that's worked out on that issue.

19 MS. ROBIN: I'll just offer a few comments. My
20 name is Renee Robin. I'm with a company called Zume, Z-u-m-
21 e. We are a new company. We manufacture multi-fiber
22 packaging from waste fiber, primarily wheat straw, bagasse,
23 things like that. And there's no question but that every
24 word I use I'm thinking about what the implications of that
25 are. So if I say it's compostable in an industrial facility

1 or compostable period, I know that I need to look at that
2 entire supply chain to make sure that there aren't
3 externalities, impurities, byproducts and so on.

4 All that being said, so for the molded fiber
5 industry it's been interesting for me to hear you talking
6 about the potential exposures of PFAS from other things than
7 the additives that might go into a recipe for a slurry of
8 molded fiber. That's a whole other set of discussion, which
9 I think is really important.

10 But I also think that for the purposes of what
11 DTSC is doing right now I'm interested to think about how
12 many layers of that onion you're going to take on. Because
13 I think that this is a potential industry that has a lot of
14 great environmental potential, especially for compost. But
15 it has to be done right. And those companies that are
16 delving into this are trying to figure it out at the same
17 time.

18 So I'm going beyond PFAS for sure, because we're
19 certainly not interested in that being in our product going
20 forward. But that's not where we started. So the
21 alternatives discussion today is going to be really
22 important to us and we can share what we're doing as well.

23 But I guess my comment was really for CalRecycle,
24 because the compostability aspect of this is so important to
25 us. And when we source that waste fiber that would have

1 otherwise been incinerated in a power plant, and we use it
2 to make a compostable product, it may not have come from an
3 organic farm. So it's going to have something going on in
4 that waste fiber that may have environmental, residual
5 concern. So that's something that I would invite people who
6 want to talk about that, that we can pursue it. But I kind
7 of want to focus on the packaging itself.

8 Yeah, that's all I have to say.

9 MR. MAYHOOD: Clay Mayhood with Sustainable Fiber
10 Solutions. You can use recycled sometimes. It has to go
11 through a long process to get FDA approval and it makes it
12 very expensive. It's more often used as indirect, so you
13 can get recycled in an indirect food contact where it's not
14 directly touching the food. In that case it's approved.
15 Some of the food service packaging materials will go into a
16 multilayer minor board (phonetic) and it'll go on the inside
17 layers and get absorbed there. And then it's typically used
18 for corrugated packaging.

19 DR. BALAN: Maricel could not be here for the
20 panel discussion. But she also wanted to bring up during
21 this discussion the issue of paper mills, and how paper
22 mills are a source of PFAS contamination. She recently
23 coauthored a blog about that. So I wanted to see if anybody
24 here on the panel or in the room wants to comment about
25 paper mills and the associated exposures from that. And

1 what could be done to reduce them.

2 MR. SERNULKA: Can you clarify what, are they
3 saying like from emissions or like how the paper mill does?

4 DR. BALAN: Yeah. So I believe they found
5 emissions, PFAS emissions from paper mills in adjacent
6 waters from the manufacturing process. It's unfortunate
7 that she's not here, so I'm sorry I don't know a lot about
8 that. But that seems to be one concern at least along the
9 life cycle of the packaging.

10 MR. LEIMKUEHLER: Zack Leimkuehler, I'm with
11 Ahlstrom-Munksjo. So we are a paper company that does use
12 PFAS and does it from a legal standpoint with what the FDA
13 requires.

14 So I think we are acutely aware of the downside of
15 all the uses of PFAS, whether it be in the package itself or
16 in those other side streams where there would be waste
17 generated or other things. And I think it's something that
18 obviously the industry has to be extremely sensitive to and
19 watch. And it would be no different than the actual PFAS
20 chemical manufacturing sites that have to do the same thing.
21 So I think that dovetails into a conversation we have to
22 have, and the industry has from a paper side of things,
23 which is you have a packaging requirement and you have an
24 effluent requirement, a water requirement, so those are two
25 different things.

1 And one of the things I would always caution, and
2 I have cautioned in any discussion I get into, is you are
3 talking about order of magnitude differences specifically on
4 the types of materials you are looking at and the levels
5 that are present. So when you're talking about water
6 treatment, water quality standpoints, you're in parts per
7 trillion. When we're talking about a BPI regulation on
8 packaging, we're talking about parts per million. So very,
9 very different and again, not the same testing or the
10 protocols with that testing.

11 So there is a watch out there to make sure that
12 that is controlled and that there are controls in place to
13 do that. Again, no different than any industry, especially
14 if you look back at the fluorochemical producers (Audio cuts
15 out.)

16 UNIDENTIFIED MALE: You're cutting out.

17 MR. LEIMKUEHLER: Sorry. All right, sure.

18 So I don't know if that answered the question.
19 But I would say as anything there is always a waste stream
20 concern you have to manage.

21 DR. BALAN: Uh-huh. It makes sense.

22 We have a comment from the online audience as
23 well.

24 MS. BRANYAN: Yeah, I have a question from Melody
25 Labella. And she is from the Central Contra Costa Sanitary

1 District. And she's kind of concerned over fate and
2 transport of PFASs in food packaging exposure routes. She
3 said she didn't see anything about wastewater. Does DTSC
4 staff or any of the experts have a sense of how significant
5 the amount of PFAS transfer into human waste would be due to
6 transfer of PFAS in human from food packaging? So
7 wastewater, but through a sanitary route.

8 DR. BALAN: Interesting.

9 DR. BRUTON: Could I jump back really quickly to
10 piggyback on something that Zack said while we all chew on
11 that question?

12 DR. BALAN: Sure.

13 DR. BRUTON: My question would be I mean you
14 mentioned that it's no different than any other industry.
15 But it's my understanding that effluent limitations for PFAS
16 are not something that have been in place in almost anywhere
17 until maybe now in some jurisdictions. So I would like to
18 see those be in place to make sure that companies who are
19 perhaps not as proactive as yours are paying attention to
20 this.

21 DR. BALAN: We have a question over here. In the
22 meantime, do you want to go first? Just a second.

23 MR. LEIMKUEHLER: Yeah, sorry. And to that point,
24 there is a lot of active legislation right now in the United
25 States pending on water treatment and water quality

1 standards, specific to PFAS. It's actually probably a more
2 current issue in the water side of things than it is in the
3 packaging side of things, by all means. So I think that
4 that is coming and that's a challenge.

5 I think the biggest challenge that we have as an
6 industry in the United States is we are not seeing the
7 federal government do it. We're seeing states do it, which
8 becomes really a big concern from a competitiveness
9 standpoint. When you look at the industry across the United
10 States and then globally as that trickles out to the rest of
11 the industry it's weird where those levels set. And is the
12 state going to take a very aggressive route, which will
13 potentially cause more issues in an industry than a national
14 level or an adjacent state, for example.

15 So I think you have evidence of Michigan looking
16 at that. Our state, Wisconsin, is trying to lead the charge
17 in setting extremely low levels, which that's a discussion
18 for a different day than this panel probably is. But both
19 of those things are I think going on, and actually could
20 change the industry faster than anything on the packaging
21 side quite honestly.

22 MR. SERNULKA: And I would just add to this, there
23 are very few paper mills in California. So this would be a
24 very small piece of the pie that you would be looking at in
25 terms of (indiscernible) so.

1 DR. BALAN: Do you know how many?

2 UNIDENTIFIED SPEAKER: Angle your mic more.

3 MR. SERNULKA: Sorry. I believe there was like
4 five when I was back on the paper side, but I'm not sure
5 exactly what's left here in California.

6 MS. MOLIN: And maybe just to add a consideration
7 for SCP as they think about this, is it's a global economy.
8 And you were kind of alluding to things going to different
9 states. And that is true, there's not a lot of paper
10 recycling in California, if much at all. And also exports
11 out of the United States. And so as you think about your
12 considerations it would be worth noting that not all of the
13 potential for adverse impacts may necessarily be happening
14 here and could be happening in other countries as well.

15 MR. WEINER: Just on the water side I found out
16 the other --

17 UNIDENTIFIED SPEAKER: You are?

18 MR. WEINER: I'm sorry, Peter Weiner, W-e-i-n-e-r.
19 I found out the other day from a consultant who's doing
20 water treatment basically to remove perchlorate and TCE that
21 they were specified to use plumbers tape. And the plumbers
22 tape contains PFAS. And so they had to get an alternative
23 so that the water treatment at the wellhead would be pure
24 water. So it's all over. I mean, plumbers tape is a
25 consumer's product, consumer product that can affect our

1 water supply.

2 MS. VENTURA: Yeah, I'd like to add a little
3 clarity to the water issue, because that's something that
4 I'm delving into. And I don't know how much paper mills --
5 and even if it's five that can be very significant to a
6 local community. But I don't know how much they are doing
7 for wastewater to Ms. LaBella's question. But we're
8 finding, but we're in the process of trying to find that out
9 In California, because California probably has the most
10 detections of PFAS.

11 And Dr. Bruton is right. I mean there have not
12 been effluent out of industry standards. And the problem is
13 yes, people are starting to think about that at the state
14 level. We're not there yet in California. But in most
15 cases the states are looking at specific PFAS.

16 So if a manufacturer, whether it's the chemical
17 industry or whether it's a product manufacturer -- and it
18 doesn't just have to be this realm of products -- decides
19 they are going to use some new C4 or C6 chemical which is
20 probably going to be harder to get out of water in the end,
21 they may not have to worry about that. So the issue of not
22 having effluent standards is going to continue for a while
23 if we continue this approach of looking at PFAS as
24 individual chemicals, because that's traditionally what has
25 been happening elsewhere in the country on the water issue.

1 What you're doing right is you're looking at the
2 class. And I think that that's really important. But, and
3 I'm sure Simona you know this, that the State Water Board is
4 doing a site investigation. They're going to look at water
5 wells around all sorts of potential sites whether it be
6 paper mills or military sites. And they are looking at
7 what's going on around the wastewater. Of course, the
8 wastewater facilities didn't put it there. But they are
9 looking to find at what those sources are. And I think
10 we're going to get a lot more data.

11 What we're getting in so far is that the problem
12 is not just the traditional PFOA or PFOS that are
13 historically going to be there, but that we are seeing the
14 newer generations of chemicals coming up.

15 So yeah, there's a lot of discussion in the
16 country around what to do about whether it's surface water
17 or drinking water or groundwater or whatever, but nobody has
18 figured that out yet. So I don't think we can rely on
19 that's going to get fixed. I think we need to be talking to
20 the water agencies in seeing how we're going to deal with
21 this, because in the end they're going to have to deal with
22 what's already out there.

23 DTSC and this program has the capacity to help
24 stop the further bleeding, so that we don't keep filling the
25 tub. And you can't do it on everything like the gentleman

1 said these chemicals are used in so many different kinds of
2 products. But this is one step toward that.

3 MR. SERNULKA: I just would to be clear, I was
4 trying to bring it back to food service packaging too. And
5 I don't believe there are any paper mills here in California
6 that produce paperboard that goes into food service
7 packaging. It would be a tissue mill or something like that
8 that's here. So I was just trying to --

9 MR. YEPSEN: And then yeah, I would say I think
10 connected to this issue and related to end of life for
11 compostability, the issue of what you do when it's detected
12 in effluent. So like at a composting facility it is a
13 state-by-state approach right now. And states are looking
14 at the contact water at a composting facility. And if it
15 has elevated levels of fluorinated chemicals they're
16 instructed that they can't land-apply it because of
17 groundwater issues.

18 But then it's sent to a wastewater treatment
19 plant. And in most states there aren't rules around
20 removing that completely before it's discharged. So you're
21 not really solving the problem, you're penalizing a
22 composter who was not a generator of that material. And
23 then at extra expense, sending it to a wastewater treatment
24 plant.

25 And then we have this whole issue that was

1 mentioned with the Maine farmer right, with the biosolids
2 compost. And the biosolids composting industry has been
3 really proactive around this and is in a tight spot arguing
4 both sides saying, "Look we don't know what's happening to
5 the composted biosolids and if they're actually leaching in
6 the groundwater from there."

7 And then at the same time saying, again, looking
8 at the big picture of beneficial use again what do you do
9 with those contaminated biosolids? There are a lot of
10 environmental benefits to using those biosolids beneficially
11 on farm fields. And now what are we going to do with them?
12 Put them back in a landfill where the leachate will go back
13 to a wastewater treatment plant? Or burn them? And we know
14 that even if you're burning them the incinerators are not
15 hitting temperatures high enough to actually break those
16 fluorinated chemicals down.

17 So I would just say that it's difficult not to be
18 reactionary on some of these topics. But there are so many
19 other implications downstream when we start looking at what
20 do you do with the contaminated water? And I think that we
21 need to be really cautious about that. And make sure that
22 we don't derail all of these other side industries that are
23 really beneficial, the composting industries.

24 MS. JACKSON: Can I just jump in? So what all
25 this says to me is that prevention is so important. So to

1 Melody's question around how much comes through our bodies
2 versus how much may be coming from a factory or a facility
3 that is discharging, it all comes back to circularity. So
4 whatever we are creating in terms of PFAS we are going to
5 end up with it, whether it's back into biosolids or back
6 into our drinking water there's so many facilities that
7 discharge are in a separate jurisdiction. They discharge
8 effluent and then it goes downstream into a river where a
9 water facility is then going to have to treat it. They're
10 going to have to spend millions and millions of dollars to
11 treat PFAS out of the water that came downstream from a
12 wastewater treatment plant.

13 So to me, it's we have to work upstream. And so
14 I'm glad that the Safer Consumer Products Program is looking
15 at this particular product category. And we need to get it
16 out of the products to begin with. And then we're also
17 going to have to figure out how to deal with all of the
18 contamination that we already have too.

19 DR. BALAN: So that kind of leads me nicely into
20 my next question. So like Andre mentioned earlier for our
21 program to designate something, to propose something as a
22 Priority Product we need to demonstrate that there is
23 potential for exposures and potential for significant or
24 widespread adverse impacts.

25 And so from my discussion so far, it seems pretty

1 clear that there are exposures to PFASs from food packaging
2 whether it's during manufacturing use or at the end of life
3 of the product. And so my question for the panel and the
4 audience: what are the potentials for adverse impacts from
5 the use of PFASs in food packaging? What do you see as the
6 most significant or most widespread adverse impact, if there
7 are any, associated with the use of PFASs in food packaging?

8 DR. NG: Can I jump in? So I'm not exactly going
9 to answer the question you asked of course, but I'm going to
10 talk about why that's maybe not the right question.

11 So one is that we don't have a lot of data about
12 the specific PFAS that may be found in food packaging. Also
13 it's evolving, so most of the toxicological data we have and
14 epidemiological data we have are for PFAAs and for
15 especially the long-chain PFAAs. And we know that there are
16 significant effects on lipid metabolism, on liver health,
17 kidney health. It has been linked to many adverse effects,
18 developmental effects.

19 We're also going to arguing about is this is
20 significantly adverse, because we're not -- we've moved away
21 from acute toxicology, right? We're not at the point where
22 we eat something, and we have to go to the hospital. And so
23 we're talking about chronic especially for something that's
24 basically totally persistent, ongoing, lifetime, since-
25 before-you-were-born exposure to chemicals.

1 And one of the issues we have is this idea that we
2 have to prove something is going to have a negative impact
3 before we can do something about it when that substance is
4 basically indefinitely persistent. Such that when we
5 discover that there is a problem, oh well how are we going
6 to now reverse that problem when this stuff is out there and
7 we have a really hard time taking it out of our drinking
8 water and our products?

9 So I think something Tom pointed out at the
10 beginning is that the biggest hazard of these chemicals is
11 their persistence. Humans are really bad at risk assessment
12 and we are also really bad at anticipating the unintended
13 consequences of stuff.

14 And let me point out an earlier fluorinated
15 substance for which this is sort of really famous, and that
16 is fluorocarbons. "Look, we have these totally inert,
17 absolutely safe chemicals that are never going to do
18 anything bad." And suddenly we have a hole in the ozone
19 layer that nobody foresaw. And so the issue with a
20 persistent substance is that there will be an unintended
21 consequence in the future that we cannot foresee. And if we
22 allow it to be released then we're stuck with the problem.

23 DR. BALAN: Well, we can come back to that if
24 anybody else has comments from the online audience or from
25 the room. But meanwhile something else to think about, so

1 Rhodes you kind of alluded to that, but when we have this
2 food packaging with PFASs there are exposures to the
3 environment whether we compost it or landfill it or whatever
4 we do with it.

5 So what would you say is the best thing to do with
6 PFAS containing food packaging? What is the responsible end
7 of life fate of these products, the most responsible
8 according to our current technology and abilities to deal
9 with them?

10 MS. JACKSON: I think the silence is indicative of
11 it's a big problem. And we shouldn't have them there in the
12 first place. So I mean there are a lot of different folks
13 who are working on disposal technologies, but shouldn't we
14 be investing in the greener chemistries and the alternatives
15 rather than these downstream solutions?

16 DR. NG: I'll jump in. I do think we do need an
17 all the above strategy, right? So absolutely we need to
18 turn off the tap, but we have the problem now. And there
19 are a lot of communities that are stuck. And it's going to
20 be really expensive, but I think if I had to say what should
21 we do, I think we need to work on getting our incineration
22 technology to be good enough. Because as long as we get it
23 to be good enough such that we're not just moving everything
24 to the air where it will come back down on us that's the
25 only proven technology we have to absolutely destroy these

1 substances. Because I think just sticking them in a
2 container somewhere it's just putting off the problem till
3 later.

4 DR. BRUTON: I also think that we should be taking
5 steps to monitor PFAS in some of these places that they end
6 up once food service materials are disposed of. We should
7 be looking early at landfill leachate. And I know
8 California is going down that path, but it's taking a while
9 to get there. We should be looking at compost probably to
10 make sure that we're not adding compost with unacceptable,
11 whatever that might be, levels of PFAS back to our
12 agricultural lands. So those are not ways to solve the
13 problem but those are ways to stop it from getting worse in
14 specific ways.

15 MR. WEINER: Peter Weiner again. I think from the
16 perspective of CalRecycle for example on diversion of
17 organics and so on that this is a real issue, with 1383 I
18 think it is.

19 And I know of one company at least, and Mr. Yepsen
20 I'd be interested be interested in your data. But I think
21 one company is testing incineration and believes that
22 they're destroying them, but I don't know test methods. I
23 don't actually have figures yet. And if that's possible
24 then at least in terms of an existing problem that may be
25 not a solution but at least better than landfilling. So I

1 don't know. The people are testing to look.

2 MR. YEPSEN: Yeah. And that may be true. But I
3 think getting back to the sort of the whole intent of a
4 compostable product or package, if we're putting it into a
5 landfill or an incinerator and you can actually hit it sort
6 of gets away from the whole point. And so I think that's
7 where in the interim, and this is my personal belief, is
8 that in the interim while we're working on upstream
9 reduction that we also still have to weigh the risks of
10 what's in our environment today.

11 And that I think one of the big concerns that I
12 see is this risk to organics diversion programs that have
13 been very hard fought to get so successful whether that's
14 food wasting, yard trimmings, composting or biosolids
15 composting. And that again we don't want to penalize with
16 those programs, so I agree we should be testing. But not if
17 that means that we're going to then tell composters, "You
18 can't sell that compost," unless there is some crazy risk.

19 So like the Maine farmer, that compost maybe
20 should have not been sent to that farm. But I think if
21 there are relatively low levels, I think we need to figure
22 out maybe alternative uses for that compost, maybe it goes
23 to non-food uses. But I think being careful to not
24 jeopardize those composting programs while we weigh the
25 risks and balances. And penalizing the right parts of the

1 value chain not the people who are receiving it, because
2 then I mean -- yeah. So I think about like high temperature
3 of incinerators, I mean sure. But like isn't that kind of -
4 - it just seems like the wrong place to be focusing, in my
5 opinion.

6 DR. BRUTON: I agree with you that it's not good
7 to be penalizing those systems, those waste diversion
8 systems that are there, but I do think that getting the data
9 to have those kinds of conversations where you figure it out
10 amongst stakeholders is important. And that testing is how
11 you get that data.

12 MR. YEPSEN: Yeah, I agree.

13 MR. ALGAZI: May I chime in? Tom, you talked
14 about measuring total fluorine as a surrogate for PFAS,
15 especially if you can't like quantify and speciate what PFAS
16 is there. And you had talked about the importance of maybe
17 doing some studies on what's in wastewater, what's in
18 compost and things like that. Can you talk a little bit
19 about that technique? And are there concentrations of total
20 fluorine that are indicative of PFAS versus inorganic
21 fluorine or something like that?

22 DR. BRUTON: I think the answer to that last
23 question of what is a concentration threshold that indicates
24 intentional addition of fluorine is dependent on both the
25 application that you're talking about whether it's packaging

1 say, or carpet.

2 And also on the technique that you're using, so
3 the technique that I was referring to has been dubbed PIGE,
4 particle-induced gamma ray emission spectroscopy. And
5 Graham Peaslee at Notre Dame who's pioneered using that for
6 this type of analysis has taken paper that he got from paper
7 manufacturers that he knows contains intentionally-added
8 PFAS to make it oil-resistant, measured those and seen what
9 kind of reading he gets back. And he's also taken paper
10 that he knows is not intentionally treated. And so he's
11 come up empirically with a threshold. And that's what we
12 were using in those types of studies.

13 It's not something that necessarily you could take
14 and start applying in other places. There's a lot of
15 groundwork that has to go into it.

16 MR. ALGAZI: For the paper he had done that
17 correlation or those tests, but we might not be able to use
18 it on compost say, or something?

19 DR. BRUTON: That's right.

20 MR. YEPSEN: And yeah, we worked with Graham on
21 that to sort of do a back-of-the-napkin comparison to the
22 types of results that we get from the labs for total
23 fluorine, because they don't totally match. And the 100
24 parts per million that we used is relatively comparative to
25 the threshold he had come up with for intentional use. But

1 I think that again it's a good, quick screening method, but
2 it's not enough on its own.

3 And so we see, for instance, in compostable
4 products there can be sources of inorganic fluorine in a
5 product from materials that are mined that are naturally
6 occurring. Or it could be from a contaminated water source,
7 things like that. And so one of the ways that we do that
8 with that dual approach, of both looking at intentional use
9 in a formula versus it coming from an inorganic source or a
10 contaminated water source, is that you can start to break
11 that apart.

12 So if you just look at something like an inorganic
13 fluorine coming from talc or calcium carbonate you can test
14 the finished product and you can test that talc separately.
15 And to do simple math and if they add up then you know where
16 it came from, similar to the water. So if talc wasn't the
17 source and it's still higher then you could say, "Okay, well
18 we need to test the water source." And I think that that's
19 been one helpful way.

20 But for sure we need a lot of help I think
21 continuing to develop the test methods for total fluorine,
22 because the PIGE method is giving different types of results
23 than a lot of the labs that we use with standardized test
24 methods. And part of that is because this is still so
25 emerging. And a lot of the standardized test methods for

1 total fluorine were not set up for packaging. They were set
2 up for things like fuel.

3 And so there's a lot of work being done on that
4 right now. There's an ASTM, part of the ASTM D2096, which
5 is the sub-group working on compostable standards where our
6 ASTM D6400 and D6868 live. There's a sub-group in there
7 that is looking at total fluorine testing and things like
8 standardizing the way that samples are prepared before
9 tests.

10 We have at BPI we some general rules around sample
11 preparation before you do a total fluorine test. We in
12 general do not allow extraction but do allow digestion to
13 prepare the sample before the samples are analyzed. But
14 within that there is sort a whole other range of what is
15 actually done. And so ASTM is looking at that in minimum
16 sample sizing and things like that.

17 ACTING DEPUTY DIRECTOR PALMER: Hi, this is Karl.
18 I want to change a perspective a little bit. As Andre laid
19 out in our framework it's our responsibility at DTSC to pick
20 a specific product or products containing a specific
21 chemical or chemicals from our Candidate Chemical List. And
22 our approach in this sector is that we're looking at the
23 whole class of PFAS.

24 And I think we all per our research and discussion
25 we're pretty comfortable looking at the class and think that

1 we can document that there's potential for adverse impact
2 from this class of chemicals. But what I want to ask the
3 panel about is really more of a question somewhat strategic
4 practical question, which is one of our challenges in DTSC
5 is looking at in the space and in others is that there are
6 such a wide variety of products. And yet we have to
7 actually be specific about what type of product we're
8 looking at within that class of food packaging, for example.

9 So my practical question is, and maybe Jen and
10 maybe Daphne could speak to this based on their experiences,
11 we are well aware that if you look at one type of packaging
12 it might push people to a different type of packaging. And
13 you may be aware that the Department is also looking at
14 ortho-phthalates and BPA and polystyrene for the same types
15 of concerns.

16 So I'm wondering if there's sort of a practical
17 filter from your experience, which would suggest where we
18 might look? And are there certain types of packaging that
19 we should look at that would be less likely to push to a
20 different type of packaging that might raise additional or
21 similar concerns? Not PFAS, but maybe it's BPA or something
22 else. So it's a little different perspective and I'm just
23 curious if you've got thoughts on that.

24 MS. JACKSON: In San Francisco most of our work
25 has been related to takeout food serviceware. We had done

1 some studies in the early 2000s to look at what was going
2 into our landfill-bound bins. And we had a fairly robust
3 recycling program and we had a yard waste program, but what
4 we saw in the landfill-bound bin was a lot of take-out
5 foodware. We're a very urban city so lots of restaurants,
6 etcetera. So that was a waste stream to us that felt like
7 we could potentially address to try to minimize what's going
8 to landfill and divert it for climate change purposes.

9 So at that time it was a lot of polystyrene foam
10 products. And so we passed an ordinance that then
11 eventually led to a lot of these molded fiber products
12 coming into the market. So we banned polystyrene and the
13 regrettable substitute in some ways was these molded fiber
14 products with PFAS chemicals.

15 Heartening news though, because of our next
16 ordinance what we learned what we didn't know, was that a
17 lot of the molded fiber sector is trying to move out of
18 using fluorinated chemicals. But I think that that
19 particular product type is here to stay.

20 So what we're already seeing is there is a shift
21 in the marketplace for the products that already exist. But
22 the areas that I am concerned about are those that don't
23 really fit into the takeout food serviceware like the
24 popcorn bags, maybe the carton that contains your cereal.
25 Those products are still potentially going into compost or

1 recycling and could contaminate those waste streams.

2 So from what we're doing at least in San Francisco
3 we feel like we are starting to handle the takeout food
4 serviceware space. But these other food packaging materials
5 outside of that, we haven't addressed.

6 MS. MOLIN: I think there's a couple ways we can
7 probably think about it. One thing that comes to my mind is
8 kind of not thinking about them necessarily as products, but
9 as materials and trying to go towards the common buckets
10 that those fall into. Because things get sliced and diced
11 in different ways and you can transport a sandwich in many
12 different ways, for example. So that might be one way to
13 think about it.

14 And then also knowing that in the end where are
15 those products most likely to end up? So for example,
16 there's oh so much effort on the kind of the clamshell type
17 of thing to make it either into recycling for plastics or
18 for compostability.

19 But then what happens with all the other stuff,
20 right? The things that could be replaced with a plastic
21 film and those are not very recyclable, if at all. So that
22 would be another tradeoff to think about.

23 The other element that kind of comes to my mind is
24 again the clamshell. They're just so widespread and
25 everybody uses them. They're so prevalent. And from my

1 understanding PFASs are consistently found in those
2 products. So that type of product is perfect from a
3 CalRecycle perspective for it should go into the compost bin
4 when it's done, right? That's what we want to happen, but
5 not if they're filled with PFAS. So that seems to be kind
6 of like maybe a lower hanging fruit from our perspective,
7 because it's so tied in directly to getting those products
8 to compost.

9 MR. YEPSEN: I would just reiterate that and say I
10 think when we looked at essentiality from BPI's perspective,
11 we were looking at generally the range of compostable food
12 service or food contact items. And saying that when we
13 first were getting into this in 2016, 2017, we weren't
14 looking at is there a direct replacement for PFAS, because
15 PFAS is not essential to compostability? And so we were
16 looking at really are there other methods of having a
17 compostable takeout container, and as that interim, right?
18 So not just saying it has to be a direct replacement for
19 that chemical.

20 And so it could be a replacement for that
21 chemical, which there's a lot of movement on that and it's
22 great. But it could also be alternative things like a
23 coating on that molded fiber item, a foamed biopolymer. It
24 could be a clear PLA takeout container. There are a lot of
25 other ways of doing that even within just the compostability

1 world, not even considering switching to a recyclable
2 container like aluminum or something like that.

3 So I would agree with that. And I think that that
4 gets into that essentiality thing. It gets really tricky,
5 essential in what regard?

6 MS. VENTURA: I want to just add something
7 anecdotal to Karl's question and to Jen's comments, because
8 I can't say this scientifically. But I happen to live in
9 San Jose, which is not as good at managing waste and
10 figuring out what to do about these things as San Francisco
11 is.

12 So I live in a residential neighborhood, very nice
13 neighborhood, but I live across the street from the main
14 post office. Consequently it's a trash collection area,
15 because the federal government doesn't go and pick it up.
16 Okay, o what I see every morning when I'm walking my dog is
17 primarily food packaging on the ground that people just,
18 they've got their kids in the van and they just leave it on
19 the sidewalk. But in the Bay Area, because of the cost of
20 living even the nicest neighborhoods have of course homeless
21 communities, people living in their vans, who are also
22 bringing in not just takeout food packaging, they will also
23 have supermarket packaging.

24 And so one of the things that a national campaign
25 called the Mind the Store Campaign has done, is go into

1 supermarkets and try to look at what's in certain kinds of
2 packaging. They've actually done some testing and I think
3 they'll be sharing some of that information with you, Karl
4 and Simona.

5 Because you're right, Jen. That we know that in
6 pastry bags or pizza boxes or the clamshells that has been a
7 traditional problem, but what about the butter boxes?
8 Popcorn yes, but people in vans are probably not popping
9 popcorn, but that's an obvious one. And what's in the other
10 things that people are buying and then without trash
11 receptacles on the street are just leaving outside their
12 vehicles, because that's where they're living. But I have
13 to tell you that it's terrible, I mean the amount of waste
14 that collects from this stuff.

15 And what happens is because in our case it's
16 federal property, and they are not like my apartment that
17 goes out and cleans up the sidewalk, it sits there for
18 months. And whatever is in that packaging I can see the
19 dyes running into the soil. So whatever's in that packaging
20 is leaching into soil.

21 MR. ALGAZI: Yeah, I had a kind of a follow-up. I
22 think I heard either Rhodes or Jen talk about the discussion
23 of clamshells and essentiality. Is it essential to use PFAS
24 for the mold release agents for molded fiber clamshells or
25 are there alternatives already available for that? Do you

1 know?

2 MR. YEPSEN: I don't believe it's essential.

3 MS. ROBIN: I was just going to say, oh sorry,
4 steam works really well.

5 MR. YEPSEN: Yeah, and to be clear it's not just
6 molded fiber items that have mold release agents. There are
7 other items that pop out of a mold. But no, it's my
8 understanding that they are not -- there are alternatives
9 that are not fluorinated, even if fluorinated chemicals work
10 very well for that.

11 DR. BALAN: Are there any other questions from the
12 audience? Is there any comment or question from online?
13 No?

14 Okay. You can go first.

15 MS. RUDISILL: Okay. Hi, Cathy Rudisill again. I
16 had a question for the panel. I notice that some of the
17 panelists are participating and actively engaged in the
18 transition to alternatives. And I was curious as to what
19 their challenges have been with that transition and any kind
20 of methods or approaches they've used to manage those
21 challenges?

22 DR. BALAN: So we're going to discuss that in a
23 lot more detail in the afternoon. Do you mind if we leave
24 that for the afternoon? Okay, thank you. Unless somebody
25 wants to make a quick comment, so we'll get back to that.

1 MS. JACKSON: Very quickly, from the perspective
2 of working directly with food service operators the first
3 big challenge has been to have a list of products that don't
4 have fluorinated chemicals. So here's comes BPI's list,
5 registration, product registration, which is very useful.
6 But then also making sure that people know that for us in
7 San Francisco, it's a requirement now to use products that
8 are Biodegradable Product Institute certified. So just that
9 outreach and education of thousands and thousands of
10 different food service operators, whether it's grocery
11 stores, delis, taquerias, mobile food trucks, it's a huge
12 education push.

13 MS. BRANYAN: And I do have an online question
14 from Juan Villa-Romero. And he comments that, "The European
15 Commission Food Safety Authority suggests daily food intakes
16 for both PFOS and PFOA. How can we take advantage of this
17 information to avoid duplicative efforts during regulation?"

18 DR. BALAN: Would anybody like to comment on that?

19 DR. BRUTON: Just to say that I thought about this
20 when Maricel was presenting and she showed that slide where
21 one of the companies had reported that PFOA was an impurity.
22 At some certain level it was actually reported in that FDA
23 certification. And I would be really curious to see how
24 that compares with those European TDIs, because they're
25 quite low.

1 MR. ALGAZI: This is Andre Algazi following up.
2 Earlier I had said -- I talked about the way our standard is
3 a narrative standard and not a risk-based standard. So from
4 our perspective we're asking the question whatever that
5 level is given there, given that there is potential for
6 exposure, is it necessary to use any PFAS? So we're sort of
7 sidestepping how to use that, because it's not part of our
8 framework per se.

9 DR. BALAN: Okay, so that was a lot of information
10 and also still a lot of unknowns it sounds like. As Andre
11 mentioned earlier, and as Karl basically re-emphasized, we
12 are trying to figure out what makes sense for our program to
13 pursue.

14 Also, in terms of what product out of this
15 universe of food packaging it would make sense for us to
16 propose to list as a Priority Product. And so when we make
17 such a determination we think about the potential for
18 exposures. We think about potential for adverse impacts,
19 which to us may not be just toxicological hazard traits but
20 also persistence, bioaccumulation, transfer to the fetus and
21 the baby. And as well as adverse waste of life impacts, so
22 any adverse impacts to a wastewater treatment plants or to
23 composters would also be highly relevant to us.

24 So I'd like the panel to maybe take a moment and
25 think about what you would recommend that we do? How should

1 we move forward from today? What do you think we should do?
2 Should we pursue a Priority Product? And if so, what should
3 be the scope of that product definition?

4 So I would hope to hear from everybody if you're
5 willing to share your thoughts and if you have any other
6 closing thoughts to share. And yeah, feel free to take a
7 moment and whoever wants to start.

8 MS. MOLIN: Yeah, I've already put forward my
9 recommendation for molded fiber. And I don't think I've
10 really laid out all the pieces completely, but you know the
11 end-of-life pathways are more and more complicated. We
12 previously historically had exported a lot of our waste. A
13 lot of that is a little bit upside down right now and
14 markets are beginning to develop more domestically to handle
15 that.

16 At the same time CalRecycle is working on various
17 significant regulations for organics diversions, that 1383
18 that somebody had mentioned earlier. And it's going to
19 require all the jurisdictions to start moving the organics
20 out from landfills and into other places, which hopefully a
21 lot of that will be composters. So with that in mind,
22 thinking about the pathways for the different products like
23 let's say there is, so options like molded fiber, coated
24 paper, and was there one other one that (indiscernible)?

25 DR. BALAN: Well we listed paper, paperboard and

1 molded fiber. But I mean the options could be any subset of
2 that. Or maybe there's something else we're missing.

3 MS. MOLIN: So just thinking about the paper,
4 paperboard, lined paper, ideally that's -- or I guess that
5 stuff could be composted. I think a lot of times it's more
6 likely put in a recycle bin. Would it actually find a
7 market? Would it actually make it to a recycler? It
8 depends on the market of the day from my understanding,
9 which may not be completely correct.

10 So I think between the reasons for the amount of
11 PFASs and the molded fiber and the likelihood for those to
12 get to a compost facility, once these more infrastructure
13 starts changing from 1383 I think it will be well lined up.

14 MR. YEPSEN: Yeah. I guess I would say I think
15 with that in mind that it's hard to focus on a product
16 category, right? And so if it's really food-contact
17 related, and as Jen mentioned food service products are one,
18 but there are other food contact packaging materials out
19 there.

20 And so if we're looking at food contact packaging
21 traditionally not being recycled, and potentially being
22 composted in the future as the infrastructure develops under
23 1383 and if SB 54 passes and pushes all packaging into one
24 stream or another: reduce, reuse, recycle or compost, I
25 think that it would be better not to focus on just a

1 product. But look at materials that are going into a
2 particular waste stream even if that's more challenging.

3 So maybe that's multiple products to make up that,
4 and making the categories broad enough to make sure that
5 you're catching a majority of them even if you maybe miss
6 one.

7 MS. MOLIN: And just to clarify that I was
8 operating under the assumption that you're looking to narrow
9 things down.

10 MR. YEPSEN: I was saying in (indiscernible).

11 MS. MOLIN: Because of course if we can go broader
12 and get everything of course that would be the best way to
13 go forward. Yeah.

14 MR. ALGAZI: I just wanted to point that we're
15 constrained by our work plan, which the product category we
16 have in the work plan is the one that I showed on the slide.
17 So that's kind of the boundaries that we're looking at
18 currently. So I don't want to -- I don't know if this is
19 okay Simona, I'd maybe reframe the question if you had to
20 prioritize, what we would do first. Assuming we can't do
21 everything all at once what would you prioritize?"

22 MR. YEPSEN: Could we still do those three?

23 (Laughter.) Because again I think that would capture the
24 bulk right, if you could do molded fiber, paperboard and
25 paper. I mean, paper was one of the categories. I mean all

1 paper, so would that cover the microwave popcorn bag, which
2 is not paperboard? You know, I think if you have to
3 prioritize one of those three you'd look at what the highest
4 concentration is across those three, right?

5 So using the product sampling in reduction as the
6 first priority, if you could only choose one you want to
7 look at which has the most in it and then work down.

8 DR. BRUTON: I'm going to put in another plug for
9 going after molded fiber. And I shouldn't use the word
10 going after, because I don't it to be like picking on molded
11 fiber. But I do think that of these three that we've talked
12 about it's the one that we have the best understanding of.
13 And that makes it more actionable for you at the moment.

14 I do think that we need to do more to understand
15 what other types of paper, paper paperboard, food service
16 packaging might contain PFAS. But we know that a lot of the
17 molded fiber does and that it's going to compost. And that
18 exposure pathway is pretty clear. And so I think that's
19 something that you could begin to act on.

20 MR. SERNULKA: I'll jump in and just say a couple
21 of general things that come to my mind. And I think the
22 first one is just reiterating what we heard at the very
23 beginning of the day, how important continued collaboration
24 is as this process goes forward. And I think that's
25 important for two different aspects of it is that you

1 continue to collaborate at a national level whether it is
2 with FDA, the national trade associations like the one I
3 work for and the other ones that are out there. Because a
4 patchwork regulatory system in the United States is what's
5 going to drive costs and other considerations. It's
6 difficult for operators when you start seeing regulations in
7 a patchwork framework.

8 And I think definitely a next step is certainly to
9 talk with your food service operators in the state to get a
10 feel for what they're using, what's available to them. You
11 know they have catalogs that they order out of. Whether
12 it's a Chinese restaurant down the street to a large branded
13 restaurant they're going to be picking through a catalog or
14 selecting their items. So really try to get a feel for
15 what's available to them, what they need from a performance
16 standpoint, what do their customers demand. And then
17 certainly you'll get a better feel for the reality of costs
18 associated with any regulatory change.

19 So I think that's going to be an important next
20 step is certainly with the operator sides. And I'll just
21 say from our perspective we look forward to being a part of
22 the process and continuing the dialogue with you all.

23 MS. BRASCH: Hi, my name is Joanne Brasch. I'm
24 with the California Product Stewardship Council. We
25 strongly support adding foodware, food packaging treated

1 with PFAS as a Priority Product. We do prefer a definition
2 that incorporates all materials in direct contact with food.
3 But what's most concerning to us is that the public has no
4 way of knowing that these toxic chemicals are in their food
5 packaging and the food that they consume. Nor do they have
6 a way to protect themselves. Even if there was a labeling
7 requirement it merely informing the consumer is not
8 sufficient enough to protect human health.

9 So therefore we're asking DTSC to take swift,
10 decisive action to ban these known cancer-causing chemicals
11 from all food contact. And I know that's in the regulatory
12 process therefore they are listed as a Priority Product.
13 But we just want to let our intentions be known in the
14 beginning. Thank you.

15 DR. BALAN: We have just a few minutes. Would our
16 last two panelists like to say something?

17 MS. JACKSON: I just had a thought. I don't know
18 how actionable it is, but I was thinking about where PFASs
19 are used or why they are used and it's for the function to
20 confer water, oil, or grease repellency. And so I just
21 wonder if the product category could be any food contact
22 materials that are meant to be water, oil, or grease
23 resistant? And then in combination with PFASs that casts a
24 broader net. But it could address the places where it's
25 most likely to be used.

1 MS. CHIANG: Hi, my name is Sue Chiang with the
2 Center for Environmental Health. I know you're talking
3 about alternatives later this afternoon, but I did have a
4 question for Rhodes I wanted to ask now since you're up
5 here. I was kind of curious as far as the applications
6 you're getting for products to be certified under the new
7 requirements. What kind of -- like how many? I don't know
8 if you're able to say that but like how many are you getting
9 and how long is the process taking? I was wondering if you
10 could just say more about sort of what the outlook is for
11 some of these alternatives.

12 MR. YEPSEN: Sure, I can share some, I can't share
13 a lot. Unfortunately as soon as somebody signs a
14 confidentiality agreement with us even the intent to certify
15 is covered under that. So what I can say is there is a lot
16 of interest in in this, whether that's alternatives in a
17 molded fiber category. So different wet-end additives or
18 coatings as well as alternatives to molded fiber like we
19 talked about before, so foam with biopolymers or more types
20 of rigid takeout containers. So there's a lot of interest.

21 And I would say that the -- yeah, as of January 1
22 so on the holiday break we delisted thousands of products.
23 And so that is not a good thing for us to do. We're a
24 membership-driven organization. It was very challenging for
25 a lot of our members. And so I think what we're seeing is

1 members taking that challenge and turning it into an
2 opportunity, which is good. And so whether that's the
3 existing members or a lot of new companies coming in as
4 well. So it's a little vague answer, but just there is a
5 lot of interest.

6 And in terms of timelines there is a lot of
7 interest in compostability in general, so we are completely
8 bombarded with requests. And the labs, testing labs are
9 completely bombarded, so there are waiting lists to do any
10 type of test at our approved labs. We just added a third
11 one in the U.S. recently which is great, so that will help.
12 And we welcome other labs to join. The latest one is at a
13 university, so anyone can qualify. You just have to be ISO
14 compliant, or audited, and the process to get approved is
15 free.

16 And so there is that delay and then there is the
17 staffing delay. We just hired three new people last week so
18 we're trying to keep up with requests in general.

19 And then I think there's also just a challenge
20 around reengineering products, so not the new products
21 coming in the reengineering a category is really tricky.
22 Both for the manufacturer of course to figure out, but also
23 for certifiers to figure out exactly what changes have been
24 made especially when you're talking about ingredients are
25 used in really small amounts. So we've had to add extra

1 layers of scrutiny around things like molded fiber products
2 with letters from factory locations detailing things like do
3 they have separate liners in place, which we haven't had to
4 do before. So that's also slowing things down

5 And the last thing I would say about that that's
6 slowing things down is the safety data sheets are not
7 uniform, right? And so we've been learning a lot about that
8 and updating our requirements around carcinogens,
9 reproductive toxins, etcetera, but for fluorinated chemicals
10 as well it's not always apparent in a safety data sheet.
11 And we have to sign extra confidentiality agreements with
12 those suppliers who are oftentimes understandably very
13 resistant to signing a confidentiality agreement with us.
14 So that adds another layer of really slowing down the
15 process.

16 DR. BALAN: So I'd like to give Carla a minute if
17 you have any final remarks?

18 DR. NG: No final thoughts. I think I was pretty
19 clear where I stand in terms of persistent chemicals in
20 general. So for me, of course if you're trying to
21 prioritize, we need information about levels. I think as
22 Rhodes said you would go after the thing that's there in
23 highest concentrations.

24 And so there in terms of talking also about
25 collaboration I often hear from industry saying that they

1 would like to kind of have an even playing field. And this
2 is an issue with states having different levels.

3 And I think as scientists we feel the same way
4 when we are kind of swimming in the sea of unknowns which
5 products are used where and in what quantity. That would
6 also help really clarify things if that information was
7 available. I mean I understand confidential business
8 information in the sense of formulations maybe giving
9 someone a competitive advantage, but this is critical
10 information for about whether something should be allowed in
11 a product or not. And so I think there definitely needs to
12 be more movement in that area to make these things more
13 transparent. Because if everybody is looking for clarity
14 and an even playing field I think that would really help.

15 DR. BALAN: Yes, so that was very well said.
16 Thank you so much to everybody for participating today on
17 this panel. I can't reiterate enough how important it is
18 that we hear from all these different perspectives, because
19 yeah it is a patchwork of information. And there are a lot
20 of black boxes. And if we are to move forward in a
21 meaningful fashion we need to take everything into
22 consideration.

23 So I really appreciate your time and your
24 knowledge and wisdom that you shared with us today. And
25 please come back for the afternoon. We're going to have a

1 very interesting discussion on alternatives. So in the
2 afternoon that's a very critical part as well as we think
3 about proposing anything as a Priority Product, one of the
4 questions is what are the alternatives, because we do not
5 want to incentivize any regrettable substitutions.

6 So please go have your lunch and come back for
7 more interesting discussion on alternatives to PFAS. Thank
8 you everyone so much.

9 MS. SETTY: We'll be reconvening at 1:30 p.m. All
10 right.

11 (Off the record at 12:28 p.m.)

12 (On the record at 1:31 p.m.)

13 MS. SETTY: Hope everyone had a good lunch. Let's
14 go ahead and get started with our first afternoon speaker
15 who will be presenting remotely from Denmark. I'd like to
16 introduce you to Malene Teller Blume, who manages Coop
17 Danmark's quality for all food and safety programs for non-
18 food consumer products. She's also responsible for Coop's
19 chemical strategy and develops chemical safety requirements
20 that often go beyond legislation. We'll leave some time for
21 discussion with Ms. Blume after the presentation since she
22 won't be on the panel discussion this afternoon.

23 Please welcome Ms. Blume. (Applause.)

24 MS. TELLER BLUME: Thank you very much everyone,
25 so should I share my screen now?

1 MS. SETTY: Yes, we can see your screen and we can
2 hear you great.

3 (Pause to set up screen.)

4 MS. TELLER BLUME: Sorry, so is this better now?

5 MS. SETTY: Yes. Thank you.

6 MS. TELLER BLUME: Okay. Hello everyone and warm
7 greetings from Denmark. This is quite late here in Denmark
8 so it's almost is totally dark outside. And thank you for
9 the invitation to speak today. And we would like to inform
10 you what we're doing here in Denmark, trying to stay ahead
11 and implement a very ambitious strategy to phase out harmful
12 chemicals in our products.

13 First a little bit about -- sorry. Can you see
14 the screen now?

15 MS. SETTY: Yes, we can.

16 MS. TELLER BLUME: Okay. Sorry.

17 And then a little bit about Coop Danmark. We are
18 the largest retailer in Denmark and it's owned by members in
19 Denmark with 1.7 million. We have the chains that you see
20 in the bottom. This is supermarkets, discount markets and
21 also hypermarkets and we also have online sales for both
22 non-food and food.

23 We are a special organization, because we are a
24 corporation. So we have to, of course, to (indiscernible)
25 and have a good business. But we also work and have worked

1 for many, many years with a high focus on responsibility in
2 social compliance and we work together with our suppliers to
3 meet the high requirements. And how do we work, we have
4 more than 4,000 products in private labels and that makes us
5 able to set up strict requirements in our own brands. And
6 then be a front runner for good products that we sell under
7 Coop's brands.

8 We have many years -- now Denmark is a small
9 country, but you can see that we have 1,100 shops altogether
10 in Denmark. And what makes us also different from the
11 competitors Denmark is that we also have many small shops in
12 the small circles in Denmark. So we are also in the small
13 villages, represented, so we do keep the small villages
14 alive all over Denmark. And besides we have the big
15 supermarkets as well.

16 We have always been working with the
17 sustainability, because we are owned by our members. So
18 when we discovered and realized that there is a problem with
19 health, with the environment, with animal welfare, with many
20 different issues, then we can set up requirements. So we
21 started from many years ago, setting up requirements for our
22 own products.

23 We do investigate and we do discuss with
24 authorities, with the experts, with universities, with NGOs
25 and always been in touch with what are the concerns out in

1 the society? And then of course we need to have solid
2 scientific evidence that we need to do something about it.
3 So then we discuss and we make business cases and then we
4 implement requirements for all our own brands.

5 We are using the precautionary principal. And I'm
6 proud to say I think that many of the actions and the bans
7 that we have implemented during the last decades actually
8 seem to be the very right decision. Because the evidence
9 for the harmful things that chemicals do has been even
10 stronger for every year that has been gone through since
11 then.

12 So here you see that we have been working with
13 many kinds of areas. We started quite early, 2004, with
14 banning all the chemicals, which were under suspicion for
15 being endocrine disrupting chemicals. It was very early in
16 Danmark, but we do have a lot folks, we do have a lot of
17 educated people and universities are in quite close dialogue
18 with the media, with the press. So over time you see a risk
19 or a concern then there will be an article in Denmark. And
20 then the consumers start to worry about this. And then we
21 have to meet the consumers and meet their concerns and also
22 make them safe to go to into our shops.

23 So we have been working for quite some years with
24 EDCs, which were the new how you say, danger or risk in the
25 beginning of the new century. And then we started to work

1 also with food contact materials in 2014, '13. And these
2 have been the biggest actions from Danmark, from Coop
3 Danmark, in the last few years.

4 Here you see just quickly, a quick look into our
5 Chemical Strategy. It's called the Dirty Dozen and it's 12
6 groups of chemicals where we have banned them in all our
7 private labels products. This is both for food and non-
8 food. We are in full compliance with this strategy. We
9 haven't invented a new strategy, but we do still fight very
10 hard to comply with these requirements which we have already
11 implemented during the last years.

12 And here you see there are bisphenols. There are
13 fluorinated compounds. There are phthalates. There are
14 also triclosan and allergenic chemicals and also pesticides.
15 So we have decided to phase it out for all our private
16 labels and succeeded two years ago.

17 When we first started to work with packaging, I
18 think starting around 2013, until then I actually thought
19 that the regulation was quite good and covered the risk.
20 But then we looked into it. The scientists started to
21 discover things. We started to work on workshops and
22 discussion with the NGOs and we realized that something has
23 to be done about the food packaging.

24 So we set up requirements for the PFAS and also
25 for the bisphenols, because there was more and more evidence

1 showing that the risk is not covered for the consumers. And
2 the legislation is very, very slow in covering the risk.

3 So we started to look into the PFAS and in fact it
4 started with world leading scientists. In 2014, they made a
5 public statement showing that there were 10 very, very
6 strong arguments to ban all nonessential use of PFAS. And
7 there was a lot of evidence showing that it would link to
8 harmful diseases, human health and also the environment.
9 And these chemicals, they are very persistent and will be
10 out there almost forever.

11 So we started to read this statement. We started
12 a dialogue with the experts and we realized that we had to
13 do something about it. So in 2014, we banned the PFAS in
14 all our private labels products. And at that time we didn't
15 know how big the mountain should be to climb and to succeed.
16 But we realized that the risk and the discussion and the
17 evidence was so strong and so scary. And because we are a
18 consumer-owned organization we need to be a frontrunner and
19 be very clear in our statements and our approach to these
20 harmful chemicals.

21 So we started to look into it and we started with
22 the food contacting materials, the food packaging. We
23 started to map all our products. Then we looked into the
24 textiles and footwear, cosmetics and also home textiles in a
25 continuous dialogue with our suppliers to find alternatives.

1 And to secure and set up a test program, which could test
2 for these chemicals.

3 We were quite under high pressure, because in that
4 time there was no standard for testing. We didn't know how
5 exactly we could test also the alternatives, but after a
6 short time we tried different standards. And then the
7 authorities and also a lab in Denmark were starting to test
8 for TWFs (phonetic) in the products. So that made us
9 capable to also to test the products and set up quite clear
10 requirements in that time.

11 Then we had work with phasing out all our food
12 packaging for, I think it was around six to eight months.
13 And then we ended up with one product left which was the
14 microwave popcorn. And the supplier was continuously saying
15 that they couldn't find any solution. They didn't have any
16 other packaging to use without PFAS. And then there was
17 very, very scary evidence from a Danish university showing
18 that if you have a high content of PFAS in your blood and
19 you are pregnant then you will have a 16 times higher risk
20 for early abortion. [sic: miscarriage]

21 There was very high attention in the media in May
22 2015. And on that background we decided to take away all
23 the microwave popcorn from our shelves immediately, because
24 we had a very bad feeling about this product. And we wanted
25 to put very, very high pressure for the supplier to start

1 innovating even more and find the right solution.

2 This picture you see here is not what we
3 published, but we were close to doing it, but we thought
4 that this picture was too scary. We used another picture,
5 but it was a statement to our consumers telling why we had
6 to remove the microwave popcorn from our shelves. So we
7 didn't want them to be angry and go to buy the microwave
8 popcorn in other shelf because there was no solution in the
9 world in that time. We had searched every corner to find a
10 solution.

11 But after six months the suppliers found a
12 solution and in October of 2015 we launched a new version of
13 the microwave popcorn without any PFAS in the packaging.
14 And as far as we know, and still believe, this was the first
15 PFAS-free microwave popcorn packaging in the world actually.
16 So we were quite proud and it gave us very, very good
17 attention and media exposure.

18 So during the last five or six years we are
19 working with setting up standards requirements. And also
20 the Danish authorities have been looking into this and also
21 recommended all suppliers and all retailers to phase out the
22 PFAS from food packaging.

23 So they set up some requirements. It was very
24 low. As you see in 2015, 0.35 in this value. But in that
25 time it was in a perfect world without using any PFAS,

1 because the background contamination is so high now. So it
2 wasn't easy to meet this requirement. So now they made a
3 new indication limit in 2018, which is 10 µg/dm² paper and
4 this is what we are following today. We're using the TOF
5 methods when we do test the packaging.

6 I've just been to a workshop in Brussels
7 (indiscernible) actually and see there are many, many
8 different kinds of standards and the discussion by the
9 experts and the scientists, which standard is the most
10 useful to use. And it's of course very important to find a
11 shared standard to use all over the world.

12 What is one of the very important tools that we
13 use in Denmark is the Green Swan you see on the right side
14 on the top. This is a third party. It is a controlled
15 ecolabel from the authorities covering the Nordic countries:
16 Denmark, Sweden, Norway and Finland. And in that criteria
17 PFAS is totally banned. And so when we implemented the ban
18 in 2014, they were already banned in those criteria, so the
19 manufacturer and the suppliers could start looking to those
20 criteria and seek for approval. And then we could label
21 actually our product with this label showing our members and
22 consumers that these products are without any PFAS.

23 And if you want to see to find the list of
24 products and manufacturers, you can see on the link in the
25 bottom.

1 Then we are still waiting for the legislation. In
2 2014 when there was a very high media focus in Denmark for
3 the PFAS, and we implemented our ban, the Minister of Food
4 Safety said now he wanted to ban those harmful and poisoning
5 PFAS. But he didn't succeed. But last year, in October of
6 2019, the Danish authorities came back with a national ban.
7 And it will be implemented this summer actually, but only in
8 Denmark. So Denmark will be the first country in the world
9 banning PFAS. And also note that some states and also in
10 California the PFAS is already well-regulated for the food
11 packaging.

12 And so this is better late than never, but I think
13 it's quite -- I can't understand why it has taken so long to
14 regulate those very harmful chemicals. The evidence has
15 been so strong for so many years now.

16 And what was always shocking about this is that
17 the European Safety Commission for Food Safety they made a
18 new evaluation of the PFAS and found that the total label
19 daily intake, they have made a mistake. Now, they have to
20 still lower the limit 2,000 times, so all the risk
21 assessment has been totally wrong. So they need to start
22 all over again, so those chemicals are even more dangerous
23 than they first predicted.

24 There also the case about the bisphenols. This is
25 also when a journey almost 10 years in phasing out. We

1 started back in 2010 for the baby bottles, the polycarbonate
2 plastic bottles, we phased out the bisphenols. And then in
3 2015 we also changed the cashier rolls for the receipts.
4 And in 2016, we have worked some years to substitute all our
5 cans in the lining with bisphenols, but today these are
6 bisphenols-free. And it was more than 100 products, which
7 we have substituted in that time. And today we're working
8 also to use only paper board. You know, the brick you see
9 there with the red one instead of using the metallic cans.

10 So now I also want to tell you that we have been
11 working with sustainability (phonetic) for many, many years,
12 starting back in the 1970s. But we have not been as good
13 communicating this to our consumers, so we have been working
14 more closely with this the past few years and we have been
15 better. But we still have a lot of potential involving our
16 consumers in all our actions and they can feel safe. And
17 maybe they could be more loyal if they read about something
18 in the newspaper and they have some concerns then they know
19 that Coop is probably taking some actions about this.

20 So we made a very, very strict very untraditional
21 campaign trying to involve consumers and trying to make the
22 political system adopt a very strict chemical regulation for
23 PFAS and for bisphenols. And it had a very, very high
24 success and we have won very big awards for social media for
25 responsibility in communication.

1 And now I will show you the video. It will take
2 about two minutes.

3 (Video playback begins)

4 NARRATOR: In Denmark men's sperm count have
5 decreased by more than half in 40 years. Almost every 10th
6 child is conceived by artificial insemination. Girls enter
7 puberty one year earlier than one generation ago.

8 Scientists believe that a lot of the blame lies in
9 the problematic chemistry we've found ourselves with. Coop,
10 the Danish retailer, wanted to change this, but they
11 couldn't do it alone. New legislation was needed. But in
12 Denmark the only ones who could change the law are the 179
13 members of Parliament, so how could we get one of them to
14 (audio drops - indiscernible)?

15 The solution was NyKemiLov.nu, a direct campaign
16 to the members of Parliament backed by the Danish people.
17 On social media we sparked a debate on the problem of
18 hazardous chemicals. And on the campaign side, we
19 encouraged the Danes to share their concerns with the
20 politicians. When signing the petition, personalized emails
21 were sent directly to the 179 members of Parliament with a
22 clear message that the law needed to be changed.

23 To ensure that the politicians did not miss this
24 important message we also developed personal films for
25 Twitter. (Audio drops out) -- action together with experts

1 we (indiscernible) against half of these chemicals, which
2 could immediately be submitted to Parliament. The campaign
3 quickly gained the politicians' attention. But to ensure
4 that no one missed this important message, we also
5 surrounded Christiansborg, the Parliament building with our
6 (indiscernible). After an intense month Coop handed over
7 the (indiscernible) at Christiansborg and soon after this
8 happened.

9 (Multiple announcements in Danish)

10 NARRATOR: The campaign generated more than 2.7
11 million viewers and had a 450 percent higher engagement rate
12 than average on Facebook. Coop received a letter from the
13 Danish Minister for Environment and Food thanking us for
14 drawing attention to the reported problem, proving that
15 sometimes it pays off to target the few with many to make a
16 difference for every one of us.

17 (Video playback ends.)

18 MS. TELLER BLUME: Yes, and this is as you can
19 see, a quite untraditional campaign. But we were very
20 proud, because we had very high support from everyone and I
21 think we put the focus about regulating those harmful
22 chemicals. And as they also said in the video, we received
23 a letter from the Danish Prime Minister, because we helped
24 them to adopt a quite ambitious chemical strategy in the
25 Danish Parliament.

1 And I know the time is running, so I will go very
2 fast through the last one. The last things that we missed
3 (phonetic) this year was the cosmetics. So in March of last
4 year we got out the last products from a very famous brand
5 in our shops, because they didn't want to remove the PFAS
6 from the foundation, night cream, day cream, mascara, and so
7 on. So we promised our consumers that by September the 1st
8 last year there would be no PFAS in the cosmetics in our
9 shops, so we had to remove quite a lot the 1st of September
10 last year. But we think that there are also many
11 alternatives to PFAS in cosmetics, so we just use other
12 brands instead of those famous brands, which were not
13 willing to cooperate.

14 And here you see how we work. This is my last
15 slide. We do it because we realized there is a need to
16 move, because the scientists and the scientific proofs are
17 much in a higher speed and the legislation is behind. So we
18 need to do something before and we can do this, because we
19 have a direct communication with academics, with
20 researchers, with authorities, scientists, NGOs. And then
21 we can move and we can implement requirements and then we
22 save maybe 10 to 15 years compared to how long it takes to
23 implement a regulation in the European Union.

24 So we do it because we want to maintain a high
25 consumer loyalty from our members and consumers. And

1 consumers are quite demanding in Denmark. And in that way
2 we also are protecting the brand Coop and you know that we
3 are taking care of about these things when you go into our
4 shops.

5 Yes. Thank you very much for your attention.

6 (Applause.)

7 MS. SETTY: Thank you for the presentation, Ms.
8 Blume. We don't have a lot of time for questions, but we
9 can take a couple. Do we have any from the audience? One
10 over here?

11 MS. CHIANG: Hi. My name is Sue Chiang with the
12 Center for Environmental Health. You had mentioned the
13 Nordic Swan label. I was just curious when that went into
14 effect with the restriction of fluorinated compounds?

15 MS. TELLER BLUME: I think they made it may be
16 back in 2013. In 2014, the criteria were already adopted.
17 And we did have already product in our shop with this label,
18 but we weren't that aware about this risk and these high
19 requirements. So, now, it was easy for our suppliers to
20 start looking into which solutions, these suppliers, which
21 had the Nordic Swan, already had found. So that made the
22 substitution quite easy for us.

23 MS. SETTY: Do we have any questions from the
24 webcast? Any last questions from the audience before we
25 move on to our next speaker?

1 (No audible response.)

2 MS. SETTY: Okay, great. Thanks again, Ms. Blume,
3 for your presentation.

4 MS. TELLER BLUME: You're welcome and have a nice
5 day. Bye. (Applause.)

6 MS. SETTY: Okay. We're going to move on to our
7 next speaker. I'd like to introduce you to Cathy Rudisill,
8 who's an Environmental Chemist at SRC. She works on
9 environmental health, public health and green chemistry
10 projects within both the government and private sectors.
11 Her recent work focuses on green chemistry and Alternatives
12 Assessment for the EPA's Safer Choice Program. Please
13 welcome Ms. Rudisill. (Applause.)

14 MS. RUDISILL: Hi, thank you for giving me the
15 opportunity to speak at this forum. I'm really excited to
16 be here and to share with you what we've been working on
17 with the Washington State Department of Ecology for their
18 PFAS and Food Packaging Alternatives Assessment.

19 So we are the contractor hired by Ecology to do this work.

20 This is a quick outline. I'm just going to do
21 some interim background as to why we're doing the
22 Alternatives Assessment and what the basis is for that.
23 We'll talk about what's been done so far and where we're
24 going in the future and then with some conclusions since I
25 need to be moving along very quickly.

1 So the Washington State Law RCW 70.95G bans
2 perfluorinated and polyfluorinated substances for food
3 packaging materials. So if Ecology determines that there
4 are alternatives that meet the requirements of the law then
5 the ban will take effect. Otherwise the assessment must
6 continue on a yearly basis.

7 The Department of Ecology is going to conduct an
8 Alternatives Assessment that considers chemical hazards,
9 exposure, performance and cost and availability.

10 Definitions, so what is an Alternatives
11 Assessment? So according to the National Academy of
12 Sciences in their work published in 2014, it's a process for
13 identifying, comparing and selecting safer alternatives to
14 Chemicals of Concern on the basis of their hazard,
15 comparative exposure, performance and economic viability.
16 The main goals of an Alternatives Assessment are to perform
17 informed substitution and avoid regrettable substitutes.
18 And really they kind of go hand-in-hand, because if you are
19 truly performing informed substitution then you're likely
20 avoiding regrettable substitutes.

21 I think it's really important in the context of
22 regulatory assessments to emphasize what Alternatives
23 Assessment is not. And AA is not a safety assessment where
24 exposure is below a prescribed level, not a risk assessment
25 where risk is calculated as a probability, considering

1 exposure and hazard. And it's also not a sustainability
2 assessment that considers all aspects of the product life
3 cycle. It contains elements of all of these things but it's
4 sort of reorganized and repackaged into its own approach.

5 So for this assessment we're following the IC2
6 guidelines on Chemical Alternatives Assessment. We're going
7 to be forming a Level 2 Hazard Assessment module and then a
8 Level 1 Exposure Assessment, Performance Assessment and a
9 Cost and Availability Assessment. So if you're interested
10 in those resources I provide links on the slide.

11 The take-home of this is that IC2 is a guideline.
12 It's not a handbook that takes you step-by-step through the
13 process. So part of this project is also trying to develop
14 a framework that's specific for this project that is in line
15 with the IC2 guidelines.

16 I think it's important to also clarify what our
17 role is in this assessment. So as I said before we're the
18 contractor hired by Ecology to perform this work. Our job
19 is to develop a methodology to assess hazard, exposure and
20 performance and cost availability. The mantra is happening
21 through this assessment. Ecology's role is to finalize and
22 approve those methodologies.

23 We recommend products and product types for
24 evaluation. Ecology is the one that approves the selection
25 part of those products and product types.

1 And then we evaluate those products against the
2 assessment methodologies that we helped to create. And then
3 what Ecology needs to do is decide if those safer
4 alternatives exist that meet the letter of the law. And
5 then they will prepare a final report to the Legislature in
6 Washington.

7 So what's been done so far? Stakeholder
8 engagement, I say it's not done because it's not finished.
9 It's an ongoing process in this Alternatives Assessment.
10 But at the moment we have about 60 or so active
11 stakeholders. And by active I mean we're engaging in email,
12 we're getting on phone calls, they're part of our email list
13 and so on and so forth. They have provided us information
14 very kindly.

15 We also had a listserv based on the Chemical
16 Action Plan Membership. It's about 250 people, so our
17 stakeholder group now encompasses a wide variety of folks
18 within the value chain and the supply chain as well
19 including government, various manufacturers, suppliers, so
20 on and so forth.

21 I can't emphasize enough how important stakeholder
22 engagement is for this assessment, because the information
23 that we're going to need in order to do a defensible
24 assessment doesn't always lie in the public domain. So we
25 can't go to literature to get the information to help answer

1 some of the questions that we're asking here. So we're
2 really going to depend on the stakeholders who are in this
3 business particularly, who have information that would be
4 really helpful to this assessment.

5 So really how we see this feedback loop happening
6 is that SRC does their internal research. We supplement
7 that with stakeholder input. And that hopefully helps to
8 clarify and fill some of the data gaps that we're seeing
9 from the available information in the public domain.

10 What's been done is we have identified what we
11 call a PFAS Base-Case. So PFAS as a group has been banned
12 in Washington State, but for the purposes for this
13 assessment we have selected a PFAS material that we're using
14 as a comparator to help us through this assessment as a
15 means to compare exposure or compare hazards, so on and so
16 forth. This one is FCN 604. This is the CAS number and
17 this structure was developed by us by one of our highly
18 experienced PhD chemists who has spent probably the last 15
19 years evaluating industrial chemicals or structures.

20 This is a C6 side-chain polymer, as you can see
21 the fluorinated side-chain is on the side there. So again
22 this is a comparator. It's not meant to be wholly
23 representative of what is being used right now, but we were
24 told by working with our PFAS manufacturer stakeholders that
25 this is a commercially-relevant substance.

1 What's been done is that we have developed a
2 hazard and exposure methodology. We released a draft of a
3 hazard assessment methodology in the fall. We've been
4 working to address comments and concerns from the
5 stakeholders since then. We are also in the process of
6 finalizing a draft exposure assessment methodology. And
7 we'll actually be discussing these with the stakeholders on
8 a call scheduled for January 29th, so please mark your
9 calendars if you'd like to be part of that discussion.

10 If you're not already in our stakeholder group,
11 please let me know and we can add you and get you invited to
12 the call.

13 What's been done: Product Scoping. This has been
14 a bit of a challenge for us. I think it sounds like it's
15 been a challenge for California as well. It's a similar
16 issue. We need to figure out how to scope this in a way,
17 because we can't look at everything, because it's a very big
18 sector, a very big product sector. But we have to scope it
19 in a way that can help Ecology to form their questions and
20 hopefully help to make them to make some decisions.

21 So initially we thought we would only be able to
22 look at wraps and liners and possibly bags. But the initial
23 stakeholder concern was that our scope was too narrow. It
24 was too narrow of a market for what was actually being used
25 as far as the PFAS materials. So in the fall we've been

1 spending a lot of time trying to figure out how we can
2 broaden that scope and so we've had some negotiations with
3 Ecology and also clarifying some of the concerns with the
4 stakeholders about what we can do.

5 So that's where we kind of lost some time in the
6 fall. But the good news is that we're really close to
7 getting a product scope at least for the purposes of this
8 assessment. We've been reaching out to some of our
9 manufacturers, alternative producers, so now get some
10 additional insights to identify where there's overlap
11 between the different product types in the sorts of
12 alternatives that are being used.

13 So where are we going? The next step is cost and
14 availability. So I initially thought that we would have to
15 dive into performance first, but due to some of the staffing
16 availability that Ecology has regarding their economists and
17 regulatory analyst we'll probably be looking at cost
18 availability first before we start looking into performance.

19 So what's interesting here is that we need to
20 address three simple questions. They're viewed as two
21 questions, but the second one is a two-parter. We need to
22 answer is the alternative currently used in the application
23 of interest? And is the alternative currently offered for
24 sale of the application of interest? Is the price of the
25 alternative close to current? So I emphasize close to

1 current, because this is where things get tricky in a
2 regulatory assessment.

3 We have to define what is close to current.
4 That's really important I think for the purpose of this
5 assessment and under the law says sufficient quantity and
6 comparable cost. So we'll be working with Ecology staff and
7 engaging the stakeholders to determine how we can define
8 some of those terms and apply that to this assessment and
9 develop a methodology.

10 Next is the heavy hitter, performance. So we'll
11 be doing a Level 1 Basic Performance Evaluation. We have a
12 set of about 5 questions to ask based on the IC2 guidelines.
13 It's generally based on marketing information and public
14 reports, existing use, that sort of thing. So it's not
15 going to be a deep dive into comparing the different test
16 methods and standards, that sort of thing. But we do need
17 to figure out some way to assess and support the conclusions
18 that we will be formulating. So we'll be talking about
19 those in the future, again likely after the cost and
20 availability discussion.

21 I did want to emphasize this is where the
22 stakeholder input is going to be really critical, because
23 this is where the information lies a lot with the producers
24 of these products. So it's really important to us that we
25 have that engagement. I think we do have that, but I would

1 like to emphasize that getting this information and getting
2 insights on how these products perform is going to be really
3 critical to this portion of the assessment.

4 So I would like just to kind of conclude with
5 highlighting some challenges and some of the opportunities
6 that we've had so far in this process. And I would like to
7 address the issue of timeline. So we started with a much
8 shorter timeline about a year ago. We initially thought
9 that that we would be over and done with this in August and
10 that has not happened. Now, we're looking at probably this
11 summer for our draft report to be due to Ecology based on
12 some of the issues that we've had.

13 I would say one of the aspects to that is
14 underestimating how much level of effort is needed to engage
15 with stakeholders. And I don't think that's as a negative.
16 I think that's a very important part of the process. But
17 when you go into a research project you never really
18 understand. You don't really know how much time it's going
19 to take until you're in it really. So that's just part of
20 it.

21 It takes time to recruit. It takes time to
22 communicate the value of the project. It takes time to go
23 over reports with folks and get them to the point where they
24 would be willing to share possibly some very critical
25 information with us.

1 Another issue that I have and I continue to have
2 is access to information. So I'm a chemical hazard
3 assessor. I'm a researcher. Of course, I want all of the
4 data, but it's probably not going to happen. Supply chain
5 communication is obviously a known issue. But Ecology has
6 developed a CBI protocol. That would hopefully make some of
7 our stakeholders a little more comfortable sharing some of
8 that critical information that we really need for this
9 assessment.

10 And ensuring transparency in the process and again
11 that kind of goes into this idea of engaging with
12 stakeholders. In the context of a regulatory assessment,
13 transparency often relates to lots of documentation right,
14 lots of emails, lots of memos, lots of phone calls.
15 Presentations like this one equates to a lot of effort.
16 Often in time it also relates to a lot of money.

17 So one of the ways that Ecology has helped to
18 maybe streamline that process is building a dedicated web
19 page where it will house updates to all the project
20 happenings. And there will be a fact page as well as
21 document archives. So currently it's kind of been embedded
22 with some of the other PFAS work that Ecology has been
23 doing, so that dedicated website is very close to being
24 accessible to the stakeholders.

25 And with that, that's kind of our quick overview.

1 I'm happy to answer questions during the panel discussion or
2 after this. But I would like to acknowledge California DTSC
3 and thank you again for inviting me and organizing this
4 workshop, also to Washington Ecology for allowing me to be
5 here. My team at SRC, they're absolutely amazing and that
6 number of people will be increasing very shortly I'm sure.
7 And also to the PFAS AA stakeholders who have been really
8 instrumental in getting us to the point where we are right
9 now.

10 So thank you for your continued support. Our
11 contact information is here. The new point of contact at
12 Washington is Ken Zarker and his contact and information is
13 here if you have any questions or concerns.

14 And just a real quick FYI if you'd like to learn
15 more about Alternatives Assessment please go
16 saferalternative.org. There is a free webinar hosted by the
17 Association for the Advancement of Alternative Assessments
18 about how to get to safer alternatives using non-animal
19 methods. That's a free webinar and it's on January 29th.
20 So all right, great. Thank you so much. (Applause)

21 MS. SETTY: Thank you so much for the
22 presentation, Ms. Rudisill. I think we're going to have to
23 move on to the next speaker, so we'll hear from you more at
24 the panel discussion.

25 MS. RUDISILL: Thank you.

1 MS. SETTY: All right. We have one more speaker
2 before the afternoon break. Dr. Bill Orts leads research at
3 the U.S. Department of Agriculture, provides biorefinery
4 strategies relevant to the Western U.S. His recent research
5 interests include nanotechnology, fiber-based composites and
6 biorefinery optimization with the goal of adding value to
7 agriculturally derived biomass. Please welcome Dr. Orts.
8 (Applause.)

9 DR. ORTS: Thank you, all right. Perfect.

10 I'm from USDA Research in Albany which is
11 essentially Berkeley, right? And we get the good fortune of
12 working with companies to try to encourage them to do the
13 right thing. Our real mission is to add value to
14 agricultural co-products. Anything west of the Rockies, we
15 try to add as much value to the carbons as possible. And
16 then we get involved in all sorts of issues including PFAS-
17 free.

18 Let me introduce us, so back on the hill that's
19 the UC Berkeley tower in the background. And four miles
20 down the hill we are an adjunct to them where the married
21 student residents are. There's about 400 of us just off the
22 highway across from the Golden Gate Fields racetrack. If
23 you are in the neighborhood, invite yourself over all right?
24 So feel free to come join us, about 50 of us in biofuels and
25 bioproducts, adding values to carbon.

1 The nine most terrifying words in the English
2 language according to Ronald Regan are, "I'm from the
3 government. I'm here to help." Okay. He said that
4 actually coming near and dear to my heart, because he said
5 it the what, at a state fair in Iowa because American
6 farmers were being left behind. And he really was there to
7 help the American farmers.

8 So that's also my message. We're here to help.
9 We get to live vicariously through companies and try to
10 encourage them to do the right thing. We are base funded,
11 which means your tax dollars paid for us to exist. And we
12 hope we can encourage you to do the right thing.

13 We keep trade secrets with companies. We sign
14 agreements with them. We help them get over the hump,
15 sometimes through the Valley of Death. Or sometimes big
16 companies that don't necessary want to do this kind of
17 research we might want to work with them on the medium term.
18 These are some of the people we are working with. Corumat,
19 Mike Waggoner is the founder right there. I'm going to talk
20 about his work in a few minutes. Okay.

21 Okay, some of the things that we might be
22 challenged with. A company will come to us about the
23 circular plastic economy and say, "I want to do the right
24 thing, all right?" Like a yogurt company, this may have
25 really, really have happened, a yogurt brand that you might

1 recognize that's international. "We want to be PFAS-free
2 and we want to be sustainable. So should we make a yogurt
3 cup out of a robust polypropylene with a nice coating and
4 then make sure it's got a big 2 on the bottom that it's
5 recycled or should we make it compostable PFAS-free?"

6 And the answer is yes. You should do one of
7 those, right? And really I don't know that we can say much
8 more than that, so we work with this company. But
9 basically, the challenge is first cost, oxygen, water
10 barriers, oil barriers and FDA approval in this country,
11 okay? And those are the issues we wrestle with. We'll get
12 back to that.

13 We get to work with partners. We are somewhat
14 noted to work with World Centric. They had an "ah-ha
15 moment" because they were very conscientious and wanted to
16 make PFAS-free items. And when they went to their suppliers
17 it was found out that their molded pulp and their plates
18 actually had PFAS in them. It was embarrassing for them.
19 So they've been working really, really hard.

20 Now the secret, the take-home message there is it
21 was not in their coatings. It was in their mold release.
22 That's a big one for you folks to notice. We're working
23 closely with them. If you know the EarthShell Company, the
24 EarthShell Company evolved some of the same researches that
25 developed EarthShell clam shells are now making the pizza

1 boxes with World Centric. So there's a lot of places where
2 PFAS gets into the system including mold release agents and
3 molds.

4 PFAS, one of the main reasons it exists, we're
5 going to hear about this from a paper company. It's a
6 sizing agent. So if you want to replace PFAS. Sizing
7 agents are kind of like a paper coating. It basically fills
8 in the cracks and it gives you those properties like oxygen,
9 water barrier, oxygen permeability properties, oil
10 permeability. So it's a really, really good sizing agent.
11 If you ever look at a cheeseburger wrapper, think it's a
12 small miracle. Think how thin that paper is and you can put
13 it on your lap and the grease doesn't go through, it uses
14 very little material. And that's because PFAS works.
15 Forget about all the other things, but it is a very, very
16 good sizing agent. And it's pretty cost effective, so I
17 mean that's why the industry loves it.

18 To replace it, you've got to replace it with
19 traditional sizing agents or new sizing agents that I'm
20 going to be talking about, or coatings. Traditional sizing
21 agents are clays, siloxanes, silicas, polyacrylamide,
22 starches. Actually the original sizing agents were modified
23 starch. We worked very, very closely with Penford when
24 we're working with these other companies if there's any
25 hints. Penford is a starch company. They make a lot of

1 potato starch, slightly modified cationic starches that act
2 as sizing agents.

3 So later when we're going to be talking about
4 alternatives it's going to be what property do you want?
5 And we tend to overdesign that cheeseburger wrapper or that
6 butter wrap is overdesigned. Money, actually you might find
7 some PFAS in money. More and more countries are switching
8 over from paper money to plastic money. Yeah, look closely
9 there.

10 The number one replacement that you'll probably
11 see is wherever you saw PFAS you might see silicone,
12 siloxane, silanes. So the mold release agents, if you're
13 not going to have a Teflon version of it, you might have a
14 silica version or the siloxane version of it. They're a lot
15 safer than PFAS, but it doesn't come without risk. And in
16 fact right there, the EU is talking about -- I mean certain
17 folks who notice these things in Europe are noticing that
18 certain size siloxanes are also nasty. And so it's kind of
19 like regulating anything is like squeezing a water balloon.
20 You might put pressure in one place but it pops out
21 somewhere else. Be careful what pops out.

22 The other product, if you replace say your wrapper
23 on a butter cube, you might replace it with a metal-coated
24 plastic, which is likely to be very, very persistent, right?
25 So one of the things, so that yogurt company that came to us

1 what they actually decided to do -- I'm going to give away
2 the punch line -- is go with a really robust polypropylene
3 container. And then they liked oxygen permeability and they
4 sealed the top with an aluminum-coated oriented PET wrap,
5 glued on. That's a nightmare for recyclers. So it may have
6 been PFAS-free and the polypropylene might be recyclable,
7 but the lid is a metal plastic sheet that is going to stay
8 around forever and never be recycled.

9 Okay, the good news. There are green sizing
10 agents starting with starch. Eastman's got some modified
11 SAL 06 (phonetic) that are really kind of nice. There's
12 lots and lots of -- polychromide, we don't necessarily need
13 to go there.

14 There's one company that we kind of like. HS
15 Manufacturing Group makes PROTĒAN. It's corn zein. It's
16 protein from corn. It's almost got the same properties as
17 shellac and it's a really, really good grease-resistant
18 coating. University of Maine, so there it is, there's zein.
19 It's prolamins, it's generically called that. It's a
20 really, really good grease resistant. You're going to have
21 to use a little more than you would for PFAS, which is
22 really, really remarkable.

23 The industry has been trying to create cellulose
24 nanofibrils and microfibrils forever. Yes, so what they are
25 is basically you take a piece of paper and you get rid of

1 anything that's not crystalline in it. And what's left is
2 little micro rods of cellulose. They're highly hydrophobic
3 and grease resistant. They're called cellulose
4 nanocrystals. FMC makes them, microcrystals and
5 nanocrystals. They're expensive, but they are a great
6 grease resistant and water resistant agent. And then
7 biopolymers, poly(lactide), we'll talk about that in a
8 second.

9 All right, there's a class that we run with Cal
10 Berkeley. Dr. William Hart-Cooper is in that picture. I
11 don't know what it says about him, but the only picture I
12 had in public was right there. I'm going to talk
13 analogously what we learned from them. They asked us so it
14 is Gore GOR-TEX that makes jackets from highly-fluorinated
15 polymers and they want to get rid of PFAS in their jackets.
16 And they asked us a class. And then we gave them lab time
17 in our lab, so it was started as a thought exercise and it
18 turned into actually experiments in our lab. They wanted
19 hydrophobicity of course, because they're making rain coats.
20 And they wanted grease resistance, because they're making
21 rain coats and they wanted them also to be grease resistant.

22 Okay. The first thing we learned, and there's
23 just some science here, is you could find a siloxane that
24 could replace your PFAS for almost the same prices. So if
25 you ban the fluorinateds you're probably going to go to a

1 siloxane, a lot safer.

2 You could find nano versions of those. They're
3 out there on the market, so it's called nanosols. I don't
4 know if you see the structure there, but they work like
5 gangbusters. And they have not been put up for being banned
6 in Europe, but basically you take a silica particle and you
7 coat it with a short chain very similar to the fluorinated
8 ones, but they're siloxane versions, a silica version of
9 them.

10 They stick the same way the PFAS would to your
11 papers or to your textiles and there's the nanosol hazard
12 profile. If I showed you a C8 PFAS that would be all red
13 squares, all right? So these are the different silica
14 nanoparticles and whether they have mutagenicity organ
15 respiratory issues. So mostly green and yellow boxes are
16 not really, really dangerous. A lot of PFAS will be a lot
17 of red up there, red and orange, so nanosol.

18 And then the final thing we did, this is just fun,
19 is can we take a little inspiration from nature or put it
20 counter? Sometimes we overdesign things. And sometimes we
21 can design oil resistance by just making better structures.
22 And Corumat is a prime example of that and I'll get to that
23 in a second.

24 So what that is, is basically saying leaves can
25 keep out oil. And they don't necessarily do it by using

1 PFAS. They can do by their shape as well. All right,
2 there's a leaf. There's the nanostructure of it and you can
3 keep water and oil from getting into that leaf just by the
4 structure alone. Alright, and so that's it in a nutshell.
5 If you have a flat surface, you have a certain contact
6 angle. Water or oil might want to spread. And then by the
7 time you get to the right you have a hierarchical, both a
8 macro structure and a nano structure. And you can keep oils
9 out just by having that right structure by surface
10 properties.

11 That's shown. This is somebody else's work, but
12 basically if you have your traditional polyester with the
13 scale in the millimeter range, you have a certain grease
14 resistance so grease can get in or water can get in,
15 hydrophobicity. So this is water. If you basically make it
16 fiber structures, nano structured fibers it has much better
17 water resistance. Same material, just smaller structures
18 surface property keep water and oil out, coming to a point
19 here.

20 So that's one of the reasons the nanosol works.
21 Okay, the little nano particles we talked about. Some of it
22 is a size effect. But it still doesn't -- it works for
23 water. It doesn't necessarily work for grease yet, oils.
24 Because what it says here is it kind of keeps -- so the no
25 nanosol, you add the nanosol, and the oil still gets in.

1 But PFAS still works really, really well.

2 Unless you make a fiber mat out of the cellulose
3 derivative, okay? And that's what we aim for. If you can
4 make a cellulose mat cellulose usually will take up oil, but
5 if you make it small enough the surface properties are such
6 you can make nano fiber cellulose you can keep oil out.

7 This is a crazy idea. You can make nano fibers by
8 a thing called electrospinning. Electrospinning is hard to
9 scale up. Basically what you do is you make a solution of a
10 polymer and you have a voltage drop of 40,000 volts. Don't
11 put your hand in there, all right? It'll zap you. And the
12 solution up there in the syringe takes on a charge and you
13 have the opposite charge at the other way and you make
14 spider web at the nanoscale. It's really expensive to scale
15 up.

16 We challenged the Post Doc in our group from
17 Brazil to scale that up without using electricity and he did
18 it with pressure. We called blow spinning. We got a patent
19 on it. It's kind of well known. Basically it's \$8 worth of
20 Swagelok fittings. You take a polymer solution and you just
21 put a high-pressure nozzle around it and you jet out some
22 fibrils. And you can have an array of those. And then you
23 can coat your clothes or your filaments with it or your
24 polymers.

25 That's the fiber mats we're making. I'm coming to

1 a point. Just by changing the size, we can go for plastics
2 that are not oil resistant to oil resistance by just making
3 these mats, just spraying them on a polymer. And when you
4 have (indiscernible) every looks like you can also make them
5 antibiotic, antimicrobial. And because you're not using
6 voltage you can make artificial skin. Now, I'm just
7 bragging.

8 Let's go back to the yogurt question. All right,
9 should you make it out of polypropylene or should you make
10 it out of biopolymer that's compostable?

11 If I had this PLA cup it won't stay up in a
12 microwave. You put it in a microwave it'll melt at about
13 100 Celsius. If I put liquid in here and sealed it, it
14 would eventually -- the liquid would come out of there. In
15 about six months, this thing would only about full. So PLA
16 by itself does not have great water permeability. It does
17 not have heat stability. So you can't put it in a micro
18 wave. It doesn't even have the world's greatest gas
19 permeability.

20 But (indiscernible) we live vicariously through
21 smart people. Okay that's what we do at the USDA. We're
22 here to help. It really helps when smart people show up.
23 Corumat showed up and basically said we can take that same
24 POA and make sandwich structures where we make an outer
25 layer that's more crystalline and a lot tougher and even

1 lighter. And so this thing now can go in the microwave and
2 it can now hold liquid and is now microwave safe.

3 And all it was, was knowing what you're designing
4 for and thinking about the structure rather than just PFAS
5 is kind of a lazy way out. Let's just over design it throw
6 the chemical in it and we've got the solution. You can
7 actually design things just a little better and get your
8 results. So we're lucky to hang out with Corumat. Talk to
9 Mike, he knows a lot more about this than I do. All right,
10 there's a plug for him.

11 So it's like pushing a water balloon. If we ban
12 PFAS you're probably going to see more metal wraps, plastic
13 covered. Let me say it again, metal-coated plastics. They
14 print well. It's a pretty good gas and vapor barrier and
15 oil barrier, all right? You might get the birth of some of
16 these greener sizing agents I talked about. I'm a big of a
17 fan of zein as a corn product. It works really, really
18 well. And then the final thing is structure and
19 nanostructure can impart properties that may just give you
20 the benefit without the nasty chemical.

21 And with that, I thank you. These are the folks I
22 work with, live vicariously through. And that's our mission
23 statement in a picture and me. All right, thank you.

24 (Applause.)

25 MS. SETTY: Thanks for the presentation. And with

1 that we're right on time for our afternoon break. We'll
2 reconvene at 2:45. See you then.

3 (Off the record at 2:39 p.m.)

4 (On the record at 2:47 p.m.)

5 MS. SETTY: Welcome back from break, everyone.
6 We're going to begin our panel discussion on the
7 alternatives to PSAFs in food packaging products. I'll
8 start with introductions from the far left. We've already
9 met Dr. Bill Orts, who's a Bioproducts Research Leader at
10 the US Department of Agriculture. We've already met Cathy
11 Rudisill who's an Environmental Chemist at SRC.

12 Next, we have Clay Mayhood, who's the Vice
13 President of Business Development and Continuous Improvement
14 at Sustainable Fiber Solutions. His mission is to replace
15 non-recyclable packing with products that are including
16 PFAS-free paper products with grease resistance for the food
17 packaging market.

18 Mr. Mayhood, would you like to make some opening
19 remarks?

20 MR. MAYHOOD: Sure, thank you.

21 Okay, so a little show-and-tell, any paper makers
22 in the crowd here? Okay, so I'll do a little show-and-tell.
23 Sustainable Fiber Solutions, we use aqueous coatings to
24 replace materials that are non-recyclable, so polyethylene,
25 PFAS materials and so we use different paper coatings.

1 We have a coater, a large fast coater. We can do
2 tens of thousands if not hundreds of thousands of tons of
3 material over the course of a year. So we can scale up
4 quite well. The beauty of having an off-machine coater is
5 that we can use any substrate that's available. So if
6 you're a customer looking at it, we can do wraps. We can do
7 liner boards. We can do solid bleached sulfate, bleach
8 board, so a number of those different things. And we
9 combine that with the different coatings to go after your
10 particular end-use market, because there's a lot to that
11 actually.

12 But again sustainability, they're recyclable.
13 They're re-pulpable. They've been approved by the Western
14 Michigan Recyclability Protocol. So we're really pleased
15 with that part of the package. We actually have some
16 materials that have been used in the market to replace PFAS.

17 I want to touch on a little bit about pricing,
18 when you make this change is that there is a slight change
19 in the price. So that's a barrier that most folks have to
20 come over to make the product successful.

21 So when we had these discussions a lot of folks
22 were not aware of aqueous coatings as an alternative for
23 PFAS. And so I just want to spend a little time on that to
24 let people know what they are. They're water-based
25 materials that are designed to provide a functionality that

1 the customer really wants.

2 And so I'll start here. Typically for PFAS
3 obviously is, it's oil and grease resistance, OGR. But we
4 will get a role of paper, this is bleach board, we'll get a
5 big roll of this, 110 inches wide 60 inches in diameter. It
6 weighs anywhere from five to eight tons. And we'll coat
7 that on an off-machine coater. We have a metered size
8 press, which is long story short is that it has a rod. You
9 can change the size of the grooves on the rod, which changes
10 how much coating you put down. It applies it to a roll and
11 then the roll transfers it to this bleach board. So those
12 of you who have this, you can look on the back and you can
13 kind of see some grooves here and there. That's where the
14 aqueous coating goes down. We call that the barrier
15 coating. It's providing most of the functionality. The
16 cups that went around are hot cups, so on those the barrier
17 is on the inside of the cup.

18 So from here we cut out -- well we don't cut it
19 out here yet -- but we make rolls of that. We cut it down
20 to the size of rolls that goes on a printing press. And
21 then you come out and you have this printed on. There's
22 actually another aqueous coating on the top of this to
23 protect the print and scuffing as it goes through the
24 process of getting to the final customer.

25 So in this case, this could be anything. It could

1 be a food boat that needs OGR. It could be a folded
2 clamshell that wants OGR. It could be any blank that you
3 imagine. This one just happens to be a cup. I'm doing this
4 one because this one is heat sealable, so this one will go
5 from this configuration to this configuration when it's all
6 done. So again, aqueous coating is a very flexible, a very
7 powerful tool. We can combine the coatings and the base
8 stock to deliver the final results for the customers.

9 The yield on this when it re-pulps, it went
10 through the Western Michigan, we actually got over 99
11 percent yield. So you put 100 pounds of material in. You
12 got over 99 pounds out that went back to make new paper
13 products. So a terrific amount of material is recovered.

14 Just as I mentioned this method of application, I
15 mentioned the meter size press. The only important part on
16 this one is that because the demands of this are pretty
17 high, you have to have the capabilities to put down
18 sufficient quantities of material to get the required
19 functionality.

20 So I think Cathy was the first one to kind of
21 touch on the cost part of the factor. So going through
22 this, it does come down to that in the end. And so I just
23 thought I'd give you an idea in terms of aqueous coatings
24 where we are. The point I would make here is that PFAS and
25 polyethylene, kind of our two targets, those are mature

1 markets. They've been around for decades. The volumes are
2 pretty well established. So the economies of scale are well
3 established on those particular products.

4 On aqueous coatings a lot of folks are actually
5 doing these in test reactors, so you can see the scale is
6 much, much smaller. But the fact of the matter is everybody
7 knows how big these markets are. They're huge. So making
8 the swing is going to make the swing in those supply chains,
9 you'll get economies of scale. That price is eventually
10 going to come down.

11 So I think initially you'll see that the aqueous
12 coated solutions will run anywhere from 90 percent to 130
13 percent of the current PFAS or polyethylene produced
14 materials.

15 Okay, quick overview and I will do questions later
16 on, I guess.

17 MS. SETTY: Great, thank you.

18 All right, next we have our moderators that we've
19 already met. We have Dr. Balan and then we have Ms.
20 Branyan.

21 Next, we're moving on to Sarah Martinez, can you
22 just wave for us? Great. She's the Senior Director of
23 Marketing at Eco-Products. Her goal is to redefine the
24 single use food packaging market through educating various
25 stakeholders on the impacts of packaging and advocating for

1 waste diversion. She also serves on the Board of the US
2 Composting Council. Ms. Martinez, would you like to make
3 some opening remarks?

4 MS. MARTINEZ: Yes, absolutely.

5 First of all, thanks for having me. It's a very,
6 very great event and I'm happy to be here. If you're not
7 familiar with Eco-Products, we are a leading brand of
8 environmentally preferable food service packaging. So that
9 means we sell things like cups, plates, to-go containers to
10 entities such as restaurants, sports and concert venues,
11 corporate campuses, hospitals, hotels. You get the idea.

12 Everything that we make falls into one of two
13 platforms. We have what we call our GreenStripe line, which
14 is made with renewable resources. And the vast majority of
15 those products are commercially compostable. We also have
16 our BlueStripe line, which is made with post-consumer
17 recycled contents.

18 We don't say that one is better than the other,
19 right? As most of us in this room know right, I think
20 sustainability is a very complex issue. And so our belief
21 is that we should just be aware of and educated on the
22 impacts and tradeoffs of every product, because no product
23 is perfect. Providing information to our customers and then
24 letting them make the choice that's best for them.

25 A big portion of our GreenStripe line is molded

1 fiber, primarily sugar cane. And just like basically
2 virtually all the molded fiber product on the market, we had
3 historically relied on the FDA approved short-chain PFAS to
4 provide grease resistance in those plates and clamshells.

5 When we started hearing demand from customers and
6 from other stakeholders for more options that did not rely
7 on PFAS, we formed a cross-functional team within our
8 company and we started working with our supply chain to come
9 up with a molded fiber offering that was grease resistant
10 that did not rely on PFAS chemistry.

11 After well over a year of that collaboration we
12 were excited to launch, in 2019, what we call our Vanguard
13 line of molded fiber products. So that Vanguard line does
14 not -- no PFAS is intentionally added. It has been
15 certified by BPI, so we're very excited to get that third-
16 party validation. I should say certified under the new
17 requirements of no more than 100 parts per million of total
18 fluorine.

19 We also won from the Food Service Packaging
20 Institute -- I don't know where Brian is, but thanks, Brian
21 -- in QSR Magazine, their 2019 award for first place in
22 innovation and manufacturing for being first to market with
23 a molded fiber offering that did not rely on PFAS. So it
24 was nice to get that external validation.

25 We are currently working to build out our supply

1 of Vanguard. The response has been very enthusiastic, which
2 has been great to see. We are working with several large
3 chains who have expressed interest. And that's kind of
4 sucking up a lot of the initial supply, which is a good
5 problem to have. But that means that we're not quite having
6 -- we're not at the point right now where it is broadly
7 available to the market, but certainly within the first half
8 of 2020 we hope that Vanguard will be more broadly available
9 hopefully into distribution kind of beyond that first phase.
10 So that's I guess kind of the overview of Vanguard.

11 Oh one thing I should say too, the vision
12 statements for Eco-Products as a company is that Eco-
13 Products will be in the vanguard of our zero waste future.
14 So we call the line Vanguard as a nod to our commitment to
15 innovation and being a leader in the industry. So I'm
16 certainly happy to answer more questions about that later on
17 during the panel. Thanks.

18 MS. SETTY: Thank you so much.

19 Okay, next to Sarah Martinez we have Sue Chiang
20 who's the Pollution Prevention Director at the Center for
21 Environmental Health. Her goal is to eliminate the use of
22 harmful chemicals, to allow the market expansion of
23 environmentally preferable products. Currently she's
24 focused on hormone-disrupting chemicals in consumer products
25 as specifically related to food and food packaging. Ms.

1 Chiang, would you like to make some opening remarks?

2 MS. CHIANG: Thank you. So yes at the Center for
3 Environmental Health we're a national non-profit that's
4 focused on protecting the public from exposure to toxic
5 chemicals.

6 And the role that I have at CEH, in addition to
7 just looking specifically at hormone disrupting chemicals in
8 food and food packaging, I work with large purchasers in
9 various sectors from government agencies, private companies,
10 health care facilities, universities, K through 12 schools.
11 And work with them to use their buying power to get
12 healthier alternatives that don't have things like these
13 PFAS chemicals in them.

14 And so back in I want to say 2017 we started
15 testing a range of different single use food serviceware
16 products, primarily plates, bowls, clam shells, other take-
17 out containers and things like multi-compartment food trays
18 for fluorinated compounds in particular looking for PFAS.
19 And created a public database and started putting together
20 resources and recommendations for purchasers on how to
21 identify and procure food serviceware products without PFAS.

22 And it was a very complicated endeavor as far as
23 trying to come up with recommendations, as we found that all
24 these single-use options have various tradeoffs and pros and
25 cons about them. And so at the end of our project the big

1 message that we came out with is really focused on trying to
2 get the purchasers who are set up for these things to move
3 towards re-usables as much as possible and get out of single
4 use as much as they can.

5 But for those that do still have uses requiring
6 single use, it was very complicated as far as trying to come
7 up with recommendations, because it really depends on where
8 folks are in the country. And what facilities and
9 capabilities are in their area for dealing with these kinds
10 of products at the end of life.

11 And so the group in particular that we're
12 concerned about is K through 12 schools, because I was
13 actually shocked to learn as I started working on this
14 project, how many schools across the country moved away from
15 the re-usables to single use. And like one small school
16 district that we've been working with uses almost half a
17 million trays a year that they're sending to a landfill.

18 And they were actually doing polystyrene foam and
19 were about to move to molded fiber trays that contain PFAS
20 that they were going to compost in the school gardens. So
21 the good news about that is they actually are now in the
22 process of trying to get re-usables and dishwashers back
23 into their schools.

24 But I guess I wanted to just get back to the
25 larger message of prevention and stopping this current

1 ongoing influx of products with PFAS now and moving
2 upstream. And so hopefully with this process we can do that
3 and address the existing sources that we have to deal with.
4 But I think we have to stop by turning off the tap. So
5 thanks.

6 MS. SETTY: Thank you. Our last panelist is Zack
7 Leimkuehler, who's the VP for Technical Solutions, Business
8 Unit and Business Area Research and Development for
9 Ahlstrom-Munksjo, North America. His team focuses on
10 delivering value and sustainable solutions for specialty
11 papers and fiber-based products. Mr. Leimkuehler, it's all
12 yours for opening remarks.

13 MR. LEIMKUEHLER: All right, thank you. We are a
14 specialty paper manufacturer and that is a little different
15 than in reference to commodities that a lot of the
16 discussion is about. But basically it means we produce all
17 of the little nooks and crannies and niche applications that
18 are present in food packaging as a whole. Basically
19 anything that's not a board or molded fiber that's made out
20 of paper and protects food in some way shape or form
21 probably touches our business in some way.

22 We've been involved in food packaging I would say
23 grease resistant food packaging, probably since the
24 inception of most of our facilities in the country with four
25 sites in Wisconsin. All of them are more than 100 years old

1 and two out of the three were built to be food packaging
2 paper manufacturers. So before PFASs were invented, we were
3 making food packaging materials and have that history of
4 knowledge of what was the predecessor to these chemicals
5 now.

6 We also now have a pretty extensive line of non-
7 fluorinated products that we sell and really have probably
8 had for the better part of the last 15 years an evergreen
9 R&D and product development initiative to continue that line
10 of products and development.

11 As Malena talked about with Coop Denmark, we were
12 the ones that were able to supply a non-PFAS treated
13 microwave popcorn bag. So that's one of the things we're
14 very proud of and continue to work closely with the brand
15 owners.

16 We are very far back in the supply chain, so today
17 the PFAS treatment occurs in our sites. It occurs in the
18 paper mills where those products are created. And again as
19 comments were made that industry is very mature, it's very
20 efficient. So I think as it relates to our place in these
21 discussions we have a unique perspective on what that
22 efficiency is and what that means as well as how that
23 relates to alternatives and how you put those alternatives
24 into practice and go forward.

25 We spend a lot of time working with the market in

1 general, whether it be brand owners, groups like this, and
2 really every corner of the market to understand what that
3 looks like.

4 We were acquired by Ahlstrom-Munksjo. Ahlstrom-
5 Munksjo is a company based out of Finland, which is global
6 in nature. It's the largest specialty paper manufacturer in
7 the world. With that brought a whole new set of tools for
8 us that really go all the way to parchment and then we can
9 talk about the technical definition of parchment. But
10 parchment basically is 100 percent cellulose wood fiber
11 structure that gives performance to oil and grease purely
12 through the cellulose itself. So again it goes back to old
13 technology that now has becoming very new and very
14 encouraging as we look at alternatives.

15 So a lot of experience in alternatives, a lot of
16 discussions on what that means and I'm looking forward to
17 the conversations today for sure.

18 MS. SETTY: Thank you. I'd like to pass it on to
19 our moderators to lead the panel discussion.

20 MS. BRANYAN: Thank you all for staying for the
21 last half of the day. I know it gets a little tough out
22 here but I think that this is going to be a (indiscernible).

23 MS. SETTY: Of course.

24 MS. BRANYAN: Some great conversations to be had,
25 I think that showing your presentations on kind of what

1 alternatives are out there means that things are looking
2 good for us to be able to move towards. And kind of trying
3 to understand what the whole market is that we have
4 potential to kind of move everybody else into.

5 And so we had some questions here at DTSC about
6 more of the alternatives. So we heard about kind of the
7 webbing that you were looking at in your aqueous coatings.
8 And trying to understand what things are we missing, what
9 other things are out there? How can we use those? What are
10 the kinds of cost issues or not that are out there? So if
11 anybody has any commentaries, you all brought up
12 alternatives, maybe we can discuss those.

13 MS. MARTINEZ: I can share a little bit about
14 Vanguard. I didn't really go into the details. So that
15 chemistry that used in Vanguard molded fiber, it is a wet
16 end chemistry. So it's added right in the early stages of
17 the manufacturing process.

18 We worked with different suppliers that provided
19 known chemistries to the paper manufacturing world. So it's
20 not like this is a new chemistry. We basically took
21 existing chemistries and combined them in a proprietary way
22 to get to where we've planned it out with Vanguard, so just
23 a little more detail on that.

24 MR. LEIMKUEHLER: I would just say as well, one of
25 the things as you look at alternatives is there's lots of

1 things to keep in mind, safety and having a good alternative
2 as opposed to a bad alternative comes forward. I think
3 that's one of the things that we've looked at is to
4 conscientiously select things that are going to be viewed as
5 positive. There's no known negatives there, which again
6 from an alternatives standpoint continues to narrow your set
7 of tools that you have to choose from.

8 From a cost standpoint the biggest thing I would
9 caution the group on, as a whole, is that one size does not
10 fit all. And applications are very unique. And they all
11 have their hierarchical cost structures to them. If you're
12 talking about something that's in a fast-food restaurant
13 cost is king and it needs to be very economical and very
14 efficient. If you're talking about things that sit on a
15 shelf in a grocery store for months on end, those are
16 different cost structures and have different use and
17 associated implications with that.

18 So it's really difficult to kind of cast a broad
19 brush and say one technology works across the board. One
20 technology could be ideally suited for one specific
21 application, while something that is much more cost
22 effective and/or simple could be effective for other things.

23 The one thing I always say too is there was a
24 comment about a burger wrap, right? The only add to the
25 comment I think Tom made before, there's 40 percent were

1 PFAS containing meaning 60 percent were not. So there are
2 already alternatives there present in the industry today. A
3 lot of the burger wraps don't contain PFAS.

4 So those alternatives are readily available. And
5 actually if you know where to look and you know how to test,
6 you'll see that they actually change from time to time,
7 because again it's a procurement cost driven initiative that
8 says where do I get the best cost for my application? Some
9 days that's a waxed paper that doesn't contain PFAS and some
10 days that's PFAS treated paper. And those change.

11 So I would encourage the group to look at where
12 there is inherent alternatives already build in the system.
13 There's inherent supply chains already built. And sometimes
14 that's an easy place to start. I think as we were talking
15 about the Alternatives Assessment that Cathy's working on,
16 that was one of the recommendations.

17 And why we started with a narrow selection was
18 because there are very easy places to put your effort first
19 and get a large amount of ground covered. And then work
20 towards the narrower more highly technical applications that
21 are going to take longer to develop.

22 MS. MARTINEZ: If I could just build on that
23 really quick? So in your example of a burger wrapper where
24 there were already some options on the market that do not
25 have PFAS, that situation did not apply to molded fiber,

1 right? It's not like there was a molded fiber plate out
2 there that was similar, that looked and felt and acted like
3 ours that didn't have PFAS.

4 So it's kind of interesting when you think about
5 like where alternatives existed to your point you have to
6 look at how is it being used and what's the function? And
7 so that was part of our thought process. It was like what
8 other products do we have already today in our catalog that
9 we could offer to customers who are looking for a no PFAS
10 option? And so we sell PLA clamshells, which is great for
11 cold food applications, but our PLA clamshells don't work in
12 hot applications.

13 In our BlueStripe line, we have 100 percent post-
14 consumer recycled plastic container. Technically it's not a
15 clamshell because it's not hinged, but it functions very
16 similarly. But we have a lot of our customers who are using
17 all compostable packaging to facilitate front-of-house
18 composting programs. And by using all compostable packaging
19 it makes life easier for their customers. So you think
20 about the football fan or somebody at a concert, when all
21 the packaging is compostable they can put all of that in the
22 bin along with the food scraps and that streamlines waste
23 diversion and can minimize contamination for the composter.

24 So those customers were not excited about all of a
25 sudden using a post-consumer recycled conventional plastic

1 product. And so there were some instances where yeah we
2 could find a quick substitute, but in many we could not
3 hence our investment in the Vanguard technology.

4 MR. MAYHOOD: Might I add just a couple of things?
5 Again, there are additional products that are out there on
6 the market today, particularly in the wrap area. You can
7 actually just Google that, but there are known entities that
8 are making products for wraps that are PFAS-free. It gets
9 into this area that the other thing to look at is a lot of
10 materials are actually overdesigned.

11 And earlier on we talked about the kit test and it
12 runs from 0 to 12. Well, 12 is really a high demand.
13 That's a high oil and grease resistant. The fact of the
14 matter is most QSRs are asking for a 3 for their
15 applications. So there are a number of different materials
16 that Sarah and Zack have referred to that they can do that.

17 It's the same thing with aqueous coatings. Those
18 are well within the wheelhouse of those particular materials
19 to handle that without a PFAS solution.

20 DR. BALAN: We have a question from online that
21 came I think during Bill's talk, but as Zack mentioned that
22 kind of goes to both of you. It's from Thomas Booze from
23 DTSC who's wondering whether wax has fallen out of favor as
24 a coating for food packaging.

25 DR. ORTS: Let me say for every Zack there's

1 multiple big companies that have answers for you. This is a
2 time to actually go back to the future and even Sue kind of
3 mentioned it. I mean we're getting used to the really high
4 end packaging that's really thin and everything. But it's
5 not a bad time to visit reuse if it can work. We're working
6 with a company that's making returnable plastic boxes for
7 asparagus, because asparagus gets delivered to Whole Foods
8 on ice and then it's a waxy box that has no functionality
9 unless it gets returned as the old milk crates.

10 And then a lot of the big companies have sizing
11 agents and coatings that work. They work. We just want the
12 coolest one at the cheapest price. But if you're willing to
13 just move the dial a little bit the solutions are there.
14 And so what was the question again now?

15 DR. BALAN: That's okay. About wax, he's
16 wondering whether wax has fallen out of favor as a coating
17 for food packaging.

18 DR. ORTS: So this is where we work with Method
19 Products. You might know those. They make detergents and
20 we asked them why their refill packages can't look like a
21 milk carton. I mean why does it have to look like a really
22 funky multi-laminate thing that has no use? It can't be
23 recycled. It can't. But a milk carton we know doesn't have
24 to have PFAS. It's just a wax.

25 So I'll ask the same question. Why has it fallen

1 out? Wax works. It just has to be thicker. You use a
2 little more material, but it has an end of life you can
3 predict.

4 MR. LEIMKUEHLER: Yes, I would say that there was
5 early on in some of the PFAS alternative discussions there
6 was a fear of wax, because well it's not compostable. Or it
7 has this -- it's a dependency on the petroleum industry.
8 There are natural derived waxes. There are waxes that
9 compost. There are waxes that do a lot of different things.
10 I think it really depends on what is the structure? And what
11 are the performance characteristics you're looking for?

12 There are things today that are built that have
13 been on waxed products for forever. And they're still on
14 waxed products. They could be replaced with a PFAS treated
15 material, but they're not.

16 So I think those are just ways that you can look
17 at other existing applications and sources to get
18 inspiration that way. I think the bigger challenge comes
19 from perceived performance. And that is one thing I will
20 say too, performance is very much in perception. We have
21 kit standards. We have targets. We have specifications.
22 Most of those are subjective and most of those are based on
23 a brand's image that they want to uphold.

24 So no one wants to see the french fries box be
25 saturated with grease, because it looks unhealthy even

1 though the french fries are always unhealthy, right? But it
2 looks unhealthy whereas if you have a lot of PFAS in that
3 box it doesn't stay in the box and you believe it's not full
4 of grease. So there's a lot of just perception and
5 subjective things that go on in the market that help build
6 the requirements for these products that are over engineered
7 in many cases.

8 And in many cases that specification is required
9 because something sits -- a microwave popcorn bag sits on a
10 shelf in a grocery store for six months. Or at worst case
11 it sits in a truck, in 110-degree heat, for a week. And if
12 you try to hold melting butter for that period of time it's
13 difficult. So there are applications that do require that
14 high performance and that high level of engineering.

15 MS. RUDISILL: Just to build on that comment on
16 perception of performance, we sent out a product scoping
17 survey to our stakeholders last summer. And we were asking
18 about at a high level some of the things like performance
19 and availability and what is driving some of their selection
20 or perceptions about PFAS alternatives. And it was really
21 interesting to see the kind of scale of which some people
22 were like, "These are the only things that work. I only use
23 what they send me." And then you have other people that are
24 like, "It's not a big deal, people just want their
25 hamburger."

1 So it really is kind of a -- it does seem to be
2 very much subjective. It has been coming through in some of
3 the discussions that we've been having with our stakeholder
4 group.

5 MS. CHIANG: I also wanted to just add that some
6 of the purchasers that we worked with, we've had discussions
7 to get them to really think about what are the performance
8 needs of the products they're buying for the foods that
9 they're serving. Because one company has a dry snack room
10 and they don't need high-performing grease-resistant
11 products. And so you really need to think about whether you
12 actually need the worst case scenario or what kinds of
13 products as well.

14 MR. MAYHOOD: If I could just add to that the
15 supply chain also plays a big role on that. And even within
16 the processing. So how hot is hot? Is it 160? Is it 150?
17 Is it 140? Are they using canola oil or are they using
18 peanut oil? All those will impact that. So any one of
19 these solutions on the surface may be encouraging, but due
20 diligence to make sure the fit-for-use requirements are met
21 is something that really has to be done.

22 MS. MARTINEZ: I guess I'll just echo all of that.
23 The performance of Vanguard is not the same as our
24 conventional PFAS chemistry. It will not hold out against
25 grease as long. And so that's one that's kind of really

1 high on our list when we're having conversations with people
2 who are interested in the Vanguard chemistry, is to be very
3 clear that you need to test this product in your application
4 to see if it meets your needs, because really the only
5 decision in terms of performance and what matters is the
6 customer's. If it meets their needs in what they're trying
7 to use with the packaging, so yeah a really important point.

8 MS. RUDISILL: The issue of this idea of the PFAS
9 products or whether the OGR requirements are over-engineered
10 has come up in our discussions. Because the challenge for
11 us is how do we, when the law in Washington says that, the
12 alternatives have to perform as good or better than the
13 PFAS, which is pretty much the standard. And as Dr. Orts
14 said, these are -- chemically speaking PFAS is very good at
15 what it does. So the question is they've set a standard.
16 I don't know intentional or otherwise people have gotten
17 used to this idea of a certain level of OGR performance.
18 But the question is, is it really needed?

19 But when the law says that that is the standard
20 that alternatives have to meet, it gets to be a bit of a
21 daunting challenge to figure out how we can highlight those
22 and demonstrate the alternatives are there and are useful.
23 And how will Ecology use that information is kind of one of
24 the questions right now.

25 DR. BALAN: Sorry, can I quickly inject the

1 related question that we go online during your talk from
2 Holly Davis from Washington State Department of Health. She
3 said, "You didn't mention users as important stakeholders
4 for the AA. You mentioned producers as the key stakeholders
5 for assessing performance. Isn't performance defined by the
6 users, wouldn't users be important for determining if the
7 products are meeting their needs?"

8 MS. RUDISILL: I completely agree. If I left the
9 users out it was unintentional. I've been wanting to get
10 more user input into this process and we're working with
11 Ecology to figure out ways that we can do that. And I've
12 been having conversations just today about ways that we can
13 get input from the end users.

14 And I do think that's a good point. That what is
15 the standard is going to depend a lot on what are the needs
16 of the customers, so they are very important. So if I
17 didn't mention them it was just an oversight on my part.

18 MR. LEIMKUEHLER: One other that I would have is
19 just when you talk to users you have to acknowledge that
20 users are very, again subjective. If I'm talking to a
21 national brand that has a very high brand image they have a
22 very specific requirement for what their level of
23 requirements are or their level of specifications are.
24 Whether if you're talking to a small mom and pop type place
25 who is really just about, "I just need to get it from my

1 counter to the customer's mouth, that's it." It's very
2 different.

3 And I think the challenge with the Alternatives
4 Assessment for Washington is that breadth of stakeholder
5 input that really challenges keeping things consistent and
6 trying to drive to one consistent goal, because you just get
7 such a wide swath of expectations and requirements.

8 The other thing I would say is as you look at from
9 a regulation standpoint brands will always do what brands
10 need to do to manage their brand. Including things like an
11 Alternatives Assessment meaning there are brands today that
12 require a full disclosure, full down to every additive that
13 is in the product disclosure that they do an environmental
14 risk assessment on as well, a health risk assessment on as
15 well. So even if you have an Alternatives Assessment that
16 says "X" they also have assessments that require certain
17 things.

18 So what you do is you tend to put industry in a
19 place where you're not only navigating state, national
20 legislation regulation, but you're also navigating brand
21 specific requirements and how those go. And the more
22 vanguard-ish the brand wants to be, the more challenging
23 that set of objectives is managed across everybody.

24 MS. MARTINEZ: Great choice of words.

25 MS. ROBIN: So, hi. A couple of quick questions,

1 in evaluating alternatives for us a key component is
2 compostability. And in that, I'm not sure how many of the
3 alternatives you've been talking about are fully compostable
4 and would meet a green bin requirement for example, which
5 for us is really an end-of-life issue for our company's
6 mission and so on.

7 So compostability and whether or not there are
8 certain chemical additives in that product which would keep
9 it from being able to be compostable. So I'm kind of
10 working my way back up to if I am working on trying to
11 identify viable PFAS alternatives I want to be sure that
12 that alternative is also going to satisfy the next question,
13 which is whether or not it can be compostable.

14 So because I don't know enough about what aqueous
15 solutions are. And I'm delighted that Eco-Products has
16 identified something that works that is making use of an
17 existing chemical that's out there, but is that -- and it
18 sounds like it's BPI certified, which means that it may
19 satisfy the compostability question. So I just feel like
20 that's a really key issue for all of us when we start
21 looking at alternatives.

22 The second part of this is this is a huge industry
23 that is exploding in the mobile delivery of food, whether
24 it's the Door Dashes and the Uber Eats and the Cloud
25 Kitchens and so on. And they are not going to accept PFAS

1 products for very long. They know that many of the markets
2 that they want to deploy in are starting to regulate this.
3 So are some of the products that you're looking at able to
4 satisfy those criteria? Thanks.

5 MR. MAYHOOD: On the aqueous coatings right now
6 few if any would pass compostability. Just the way the
7 standards are written, the ASTM standards are written, they
8 will not pass that in combination with the base stocks that
9 we have. There are a couple that could do that.

10 The focus that they have really is on
11 recyclability. And so how do we recycle those materials?
12 Can they be used? WestRock had worked with FPI and some
13 other folks at their Chattanooga facility. And they've
14 pulled in fast food QSR materials and have successfully
15 recycled those. So you want to look at those and see what
16 the options are. Recyclability is a preferred end-of-life
17 alternative to compostability, but again depending on what
18 the requirements are that's not going to happen as the
19 standard currently is written.

20 As far as the Uber Eats and the other delivery
21 services, I think anything that we've talked about so far
22 would satisfy those needs in terms of going to a PFAS
23 alternative.

24 MS. MARTINEZ: I guess I'll just comment on the
25 statement that you said about recyclability being the

1 preferred end-of-life story for food service packaging. I
2 think it's important to recognize that it is food packaging,
3 right? So food is often going along with it, especially in
4 a front-of-house post-consumer situation. And so there have
5 been some studies done that quantify the amount of food
6 scraps that can be diverted when the food service packaging
7 is compostable, right? And so it can be an effective
8 vehicle for keeping food scraps out of landfills where they
9 go and emit methane. And instead diverting them to a
10 commercial composting facility where it can be turned into a
11 valuable soil amendment that can support soil health and
12 plant growth.

13 So I think it's important to look at not just the
14 package but the fact that it touches food and the broader
15 system in which that package is used as we're thinking about
16 end of life option.

17 MR. MAYHOOD: I would not disagree, Sarah. I just
18 think there are certain applications that can go recyclable.

19 MS. MARTINEZ: Understood, yeah.

20 MR. MAYHOOD: So again it goes you've got to look
21 at the whole structure and what the supply chain is going to
22 be and make your call based on the technology that's
23 available and what the requirements for that particular
24 package are.

25 MS. BRANYAN: I think that going along with kind

1 of this theme of compostability or recyclability for many of
2 the alternatives, we're curious to see kind of what that
3 means end of life for the various options that have been
4 brought up.

5 DR. ORTS: All right, I'm going to put in a plug.
6 Remember that part, "We're with the government. We're here
7 to help."

8 So we have respirometers in our building. I was
9 on the committee that wrote D6400, back in the day. It's
10 good for your frequent flyer miles. I'm old. And so if you
11 have a question like that just ask us and send us a sample.

12 We worked with Mike here to ensure that his stuff
13 could be both compostable and meet those standards and ocean
14 degradable if it needed to be. So we have done that with
15 little companies and big companies like Glad, you have heard
16 of Clorox. So just send a sample and ask and we'll run one
17 or two, because we're equally curious.

18 MR. EDGAR: I have a little bit of a statement and
19 then a question somewhere in there.

20 MS. SETTY: Do you mind identifying yourself?

21 MR. EDGAR: I'm Neil Edgar with California Compost
22 Coalition, so I represent about half the commercial
23 composters in the state.

24 And the big elephant in the room earlier in the
25 conversation, I was able to listen online, is where are the

1 composters? We talked about a lot about who the users are
2 and who the end markets are. That's not the end of life and
3 that's not part of the closing the loop. The idea of these
4 products is all of them are being created to help establish
5 a circular pathway for biological nutrients. And even
6 before we get to PFAS there are a number of issues about
7 identification determining what's recyclable and what's
8 compostable.

9 The State of Washington just passed a bill, the
10 first compostable identification standards in the country to
11 clearly identify what we're trying to do with the materials
12 that we're attempting to recover in the hope that we don't
13 landfill all this material.

14 Right now, companies, restaurants and customers
15 across the country are paying a premium for these products.
16 And 99.5 percent of them are still being landfilled, because
17 composters don't want them yet. They can't tell what's
18 compostable from what's not compostable.

19 And a part of Bill's organization has something
20 called the National Organic Program, which sets standards
21 for organic use for the compost that's produced. Most of
22 these chemical additives, POA, other types of products, are
23 not suitable for organic use.

24 In California, 60 to 80 percent of the compost
25 produced here goes to agriculture. And even conventional

1 farmers want organic certification. So if it's not CDFA
2 registered or armory listed, the largest customers don't
3 want it. And increasingly agriculture is setting a higher
4 and higher bar for the inputs that are going into food
5 production. Not just for food safety reasons, but also for
6 market brand building issues. So the customers, the
7 supermarkets, McDonalds, all the big chains they set some
8 really high purchasing standards not just for your products,
9 but also for the food that's being produced by the farmers
10 that are buying the compost that's supposed to be the end of
11 the chain for this stuff.

12 So that needs to be a big part of the discussion,
13 a bigger part. I go to a lot of these different kinds of
14 venues where the end of life is sort of an assumed part of
15 the conversation. And it really needs to be sort of up
16 front and more a part of the design and extended producer
17 responsibility part of the product development.

18 And maybe there wasn't a question in there.

19 (Laughter.)

20 MR. LEIMKUEHLER: I would just add back into the
21 conversation around designing for compostability as well as
22 PFAS-free. And I would just say the caution I would have is
23 if you set the bar too high you don't get either. So the
24 question is there are places where recyclability is a good
25 choice. There are places where compostability is a good

1 choice. There are places where the threshold of performance
2 is so high that if you require compostability you'll never
3 get performance. And I think that's just a watch out as you
4 look at these things.

5 I always steal Rhodes's line and say, "We make
6 things out of trees that's compostable, but if the tree
7 falls in the forest it's not compostable." So it's a subtle
8 nuance in how we're building the product and how we're
9 building performance and ensuring compostability as well as
10 giving barrier properties and other things that in effect
11 are opposing forces in most cases.

12 So it's just I think there's not a one size fits
13 all answer. It's really depending on what kind of a
14 structure, what's the application, how likely is it to end
15 up in one or the other. And then you design for those
16 things as you go forward.

17 MS. JACKSON: Hi, Jen Jackson City of San
18 Francisco. It sounds like several of you have created
19 alternatives to PFAS for either fiber or paper products.
20 And I'm curious what kind of hazard assessment you
21 conducted. So yes there's the BPI certification piece of
22 it, but in your own businesses I'm sure you have ways to
23 assess the chemicals that you've chosen instead.

24 MR. MAYHOOD: We have a list of criteria and the
25 FDA is the primary one for us for our food packaging. So we

1 work with the materials folks, our coating suppliers and our
2 different material suppliers to make sure that we have FDA
3 compliance for direct food contact is our primary barrier as
4 far as compliance requirements.

5 MS. MARTINEZ: Eco-Products is part of a
6 consortium associated through Iowa State University called
7 IdeoPak. We, when we were developing the Vanguard chemistry,
8 reached out to them to have a conversation about regrettable
9 substitutes and better understanding. Obviously yes, FDA,
10 they're the floor minimum right, for sure. But we wanted to
11 understand kind of beyond that what was in the chemistry.

12 And so IdeoPak, they looked at the GreenScreen
13 List Translator along with a number of other lists of
14 similar Chemicals of Concern potentially. I don't know if
15 I'm using exactly the right term, but they said there was
16 the GreenScreen List Translator along with some other lists
17 as well. And so they ran an assessment and said that
18 nothing came up as being flagged, if you will.

19 Many of you in the room know, I think Clean
20 Production Action I think is the organization that runs the
21 GreenScreen process. We had a phone call with them really
22 to learn more. We obviously want to be very careful and do
23 not want to replace PFAS with something that has major
24 risks. And so we're trying to learn what are the
25 expectations of stakeholders out there in this regard and

1 what can we do to try to work towards and meet those
2 expectations.

3 So I would say what we did with Iowa State and
4 IdeoPak was the first tangible step that we took in that
5 regard. In our conversations with Clean Production Action,
6 we learned that they do not yet have a true full GreenScreen
7 certification for food service packaging. So we want to --
8 we're trying to get on the phone with them to schedule a
9 follow-up conversation, so we can continue to learn more.
10 To say, "Okay. In the absence of a true GreenScreen
11 certification for our product category now what? Help us."

12 So I would just say that's where we're at in the
13 process. And we are continuing to try to learn more.

14 MR. LEIMKUEHLER: I would say we tend mirror the
15 other comments about the FDA. Anybody who's a direct food
16 contact supplier has to deal with all the regulatory
17 requirements. And being a global supplier we need to not
18 only watch FDA, but everything globally that's out there.
19 So our regulatory group has a pretty good understanding of
20 not only what's currently legislative and also regulated,
21 but also what's also coming.

22 In addition to that as I said we've worked with
23 brand owners and brand owners are very, very sophisticated
24 when it comes to watching out of what's coming and being
25 pretty well attuned. So I think we've come up with

1 formulations that through all those iterative learning steps
2 continue to show that we don't have any issues in working
3 our way through that.

4 We've talked about doing GreenScreen and other
5 more formal methods. And I think if we were using something
6 that we felt was a little more concerning we would. But
7 we've intentionally selected some of the materials based on
8 their acceptance into food additives themselves. And in
9 being very suitably safe, I guess is the way we've looked at
10 it. But it's a variety of sources I think that you have to
11 use and try to stay ahead of the forever changing regulatory
12 landscape quite honestly.

13 MS. CHIANG: I just wanted to add so I think it is
14 a really, really big step that we're talking about PFAS as a
15 class and not substituting one fluorinated compound for
16 another. But we are, in our conversations with purchasers,
17 getting questions about well so what are they replacing it
18 with and have they assessed it?

19 So I think this is a really big next step that we
20 need to deal with. And so The Center for Environmental
21 Health is actually partnering with Clean Production Action
22 on the development of a GreenScreen certification for food
23 contact materials. And we're hoping to have something this
24 year.

25 MR. MAYHOOD: I should have added that we also

1 work with the brands or our customers as well as any
2 requirements they might have. So to that extent given a lot
3 of these coatings are proprietary at this time will also go
4 to the extent we'll go to a third-party certifier.

5 So we'll go to a Keller & Heckman and our
6 suppliers will share their list of ingredients with them.
7 They'll break it down and make sure that they are in
8 compliance with what the brand owner wants and their
9 requirements. So as Zack said they have a variety of
10 requirements and they have some are much, much more deep in
11 terms of the overall process for compliance than others. So
12 that's another means that we would use.

13 DR. BALAN: So we have another question from an
14 online attendee from Holly Davis at Washington State
15 Department of Health. She has a question for Sarah. "Can
16 you tell us something about what is used in the Vanguard
17 line like GreenScreen hazard assessment benchmarks for the
18 propriety ingredients?"

19 MS. MARTINEZ: You want more specific information
20 about the ingredients versus? Personally, I cannot answer
21 that question. Our product development team would have more
22 specifics on that, but I apologize. I just don't know the
23 specifics to share at this time.

24 DR. BALAN: Okay, no worries. I also have kind of
25 a follow-up question. So I really liked Bill's metaphor

1 about the water balloon, that if you pop it somewhere it can
2 come out in other places. So I understand that one of the
3 alternatives we would need to watch out for if to pursue any
4 kind of Priority Product in this field would be for instance
5 things like the metal and plastic that makes a product non-
6 recyclable.

7 Are there any other alternatives that would create
8 less preferred end-of-life fate for this product like
9 decreasing recyclability or compostability or increasing
10 hazard during manufacturing or end of life?

11 MR. LEIMKUEHLER: I think the risk for changing
12 its recyclability and/or compostability are the biggest
13 risks. Because again as you're creating barriers to water
14 and grease and things like that, you're inherently fighting
15 the mechanism of breaking it down in the environment.

16 So you're inherently building opposition to
17 compostability and you're inherently building opposition to
18 recyclability. And some of those things actually lead to
19 permanence, meaning you can't ever put it back into an
20 individual fiber form.

21 So I think all of those things are very, very bit
22 watch outs, because the better the barrier, typically the
23 worst compostable it is in most cases. So the two just
24 don't always go hand-in-hand, there are exceptions to that.
25 But that's one of the biggest watch outs that I would say is

1 that.

2 Most of the facilities we have, and we have pretty
3 staunch records of employee safety. So we know we have to
4 go through regulatory processes just to bring materials in
5 our facility. And in being a direct food contact facility
6 we have to maintain those. So most of our issues are really
7 around end-of-life changes and how that further implicates
8 the supply chain and making sure that we don't create an
9 issue that we can't deal with later.

10 DR. BALAN: Are there any specific chemistries
11 that would create those issues?

12 MR. LEIMKUEHLER: There are a lot of chemistry
13 issues. I think even in the last three years you've seen
14 chemistries change over time. And Clay can probably mention
15 this as well, but there was the first -- four years ago
16 everybody was talking about things that had styrene bases to
17 them and now no one does. Or most of those have been phased
18 out because of Prop 65 and other places where those things
19 have changed the landscape.

20 So I think it kind of continues -- again, the
21 regulatory landscape changes a lot as we're going. And
22 there's already things that aren't formally regulated, but
23 were on the watch out for silicon-type materials as one of
24 them. So I think we have to be watching those. And that's
25 going to be a challenge too. You might find a really good

1 replacement today. And tomorrow it becomes an issue. So
2 we're trying to stay ahead of that curve, but that's a steep
3 curve to stay ahead of.

4 MR. MAYHOOD: I would just add to the supply chain
5 that Zack talked about, it is imperative. I mean it's one
6 of those that will blindsides you very easily. You have to
7 go through the entire supply chain. It may not be, "Is it
8 recyclable? Is it compostable?" It may be, "Can it go in a
9 truck at 110 for four weeks?" There are a lot simple things
10 that these changes may do great on compostability or
11 recyclability. But that doesn't work in the process that is
12 already existing, so that's another watch out.

13 MR. LEIMKUEHLER: Yeah, I think that's probably -
14 thank you for bringing that up because that's probably one
15 of the biggest things we've developed over the last 10 years
16 is not only it works, but now it works in a converting
17 process that corrugates. Now it works in a process where
18 it's turned into a bag. Now it works where it's got to be
19 laminated or printed, something as simple as printing,
20 because the barriers that you apply change that supply chain
21 dramatically, which inherently can negate a really positive
22 development that you have in use.

23 MR. WAGGONER: Mike Waggoner from Corumat. I
24 think another thing that sometimes comes up is just the life
25 cycle. Talking about recycling versus composting, you know

1 the idea behind composting packaging is that you have lower
2 overall carbon emissions by composting more food waste. And
3 so a lot of companies are going more towards recycling right
4 now, which gets rid of more composting. And so my opinion
5 is that you're kind of making a call like carcinogens versus
6 composting in some situations. And so coming up with a
7 framework for that would be helpful just so we could kind of
8 (indiscernible) ourselves from our end.

9 MS. BRANYAN: With talking about kind of the end
10 of life of these products, like we know that we're having an
11 issue in terms of recycling and compostability. Have you
12 seen any issues with some of these alternatives kind of
13 further up the supply chain with maybe like procurement or
14 sourcing?

15 MR. LEIMKUEHLER: Yes, and yes. I think one of the
16 biggest things is to Dr. Orts' presentation there are lots
17 of new technology. There's lots of really, really
18 interesting new technology.

19 And to the comment before, the supply chain is
20 very well-established for most of these applications. So
21 you also have to have a solution that either fits within the
22 supply chain or is well-adapted or adaptable to the current
23 supply chain. Or else you're starting a whole supply chain
24 from scratch, which is really challenging.

25 So for us it's we have papermaking assets that

1 apply materials online to those machines. That's one of the
2 farthest back in the supply-chain places and one of the most
3 efficient places to do it. And a lot of the chemistries
4 don't work that way. A lot of the chemistries are not
5 applicable that way.

6 So that is one of the other just fundamental
7 challenges from a supply chain standpoint for sure, because
8 you disrupt the supply chain that's mature and the supply
9 chain is lengthy. If we're talking about a corrugated
10 container that goes into a fast-food restaurant for a burger
11 there might be six people in between the paper manufacturer
12 and the customer at a fast-food restaurant. And each of
13 those six people have established their part of the supply
14 chain. When you change that you disrupt that entire supply
15 chain. And that supply chain needs to find its new
16 "normal."

17 And when you talk about costs and procurement
18 availability that's a huge issue, to kind of letting that
19 all settle back into its place again and rebuilding that.
20 Or completely starting from scratch and rebuilding something
21 that way.

22 MS. MARTINEZ: Since Vanguard is a new offering it
23 just takes time to build up a supply. And as I mentioned
24 the performance is not the same as the conventional PFAS
25 chemistry. And so we're committed to trying to improve that

1 over time to meet certain customer needs.

2 And once we do come up with hopefully a better or
3 an evolved formulation in the future that's another round of
4 BPI certification. Of making sure it checks all the boxes
5 and other GreenScreen assessments, right? And so it's just
6 a continual comparing where we're at today to some of these
7 legacy really old, established supply chains. I mean we are
8 just in our infancy.

9 MS. BRANYAN: What do you think are the most
10 difficult ways to shift kind of this mature market in a way
11 to get alternatives? We've mentioned supply chain
12 procurement, availability, compostability. What do you
13 think is kind of the biggest hill to get over in terms of
14 changing?

15 MR. LEIMKUEHLER: I think it's been the subjective
16 performance criteria. Because if you get the end identity,
17 whoever that is, the larger the better, to move forward,
18 accept performance criteria and move that out into the
19 industry and have it be known, the industry starts to
20 follow. But with those things being so subjective you want
21 -- most brands want to be able to make this change and have
22 nobody know that they made this change.

23 So again that performance criterion means you can.
24 A project that we had, and just I'll digress a little bit,
25 we had a project on a pizza box and we had five solutions

1 that all worked. They were all non-PFAS, they all worked.
2 But because they didn't look like the PFAS-treated box it
3 did not fly. And they were cost-effective too.

4 So it was going back to the subjective nature of
5 the brands and how they perceive their image in the market
6 and want to protect that image in the market. That they
7 don't want anybody to know they were bad before and they're
8 not bad now, or they made a change at all. They don't want
9 anybody to see that.

10 So that to me, if you could address that part
11 alone, the rest of it would eventually work itself out.
12 It's not going to be easy and those are always difficult
13 things to happen, but it would work. That end-all goal is
14 still a challenge to make it happen today.

15 MS. MARTINEZ: I concur.

16 MS. VENTURA: That actually goes right in line
17 with what I wanted to say. And I'm going to state the
18 obvious here and it's going to be very idealistic, so let me
19 say that I understand the complexities of what you're all
20 trying to accomplish and I appreciate that you're doing it.

21 But whenever I hear discussions of -- and I think
22 this is something DTSC should hear too -- is that part of
23 their job is how do we produce safer products? Or drive the
24 use of safer products that still work? And I think that
25 subjectivity of performance needs to be challenged in a lot

1 of things, okay?

2 I mean frankly as a consumer I think we're
3 probably all appalled by the idea of being faked-out because
4 it doesn't show the grease on the french fry. But I totally
5 get that when you're trying to produce something that's what
6 your customer wants, so I get it.

7 But we sometimes -- it's who is deciding the
8 performance. So it's not showing the grease or it's not
9 getting all over your hands and making a mess. But to me a
10 product that does all those things and holds the food in and
11 doesn't allow bacteria in but is toxic and is going to leave
12 some sort of toxic footprint whether it's in the earth or in
13 our bodies doesn't work. It's kind of like saying, "The
14 operation was a success, but the patient died." The process
15 works, right? You might get the cancer out, but the person
16 died.

17 So what I'm trying to say is we need to work into
18 the definition of performance. And I think industries and
19 end users of your products have to start hearing this too,
20 is that toxicity however we define that whether it's
21 environmental or human health or whatever I understand that
22 it's very hard to get to the perfect. But a light bulb with
23 mercury that's more energy efficient is not the end product,
24 because you haven't succeeded. You're just creating one
25 problem for the other.

1 And so I think that when we talk about
2 performance, performance is also the benign nature of that.
3 Now I know you're all working on that, so I'm not casting
4 aspersions here. But I keep hearing different people talk
5 about what it means for the product to work and with the
6 performance you said it has to be compostable, which I think
7 is a good thing. But everybody has a different marker as to
8 what performance means. And I just want to put in the
9 obvious that if it's toxic we haven't gotten there yet. We
10 don't have a workable product.

11 So anyway that's my rant for the day.

12 I'm Andria Ventura with Clean Water Action, but
13 also I'm a consumer. And actually that I want to take my
14 professional hat off and say I won't buy certain products,
15 because it might be convenient, but it doesn't work for me
16 for those reasons.

17 MR. MAYHOOD: I don't think we would disagree. I
18 don't speak for everybody, but I would say I definitely
19 agree if it's not toxic, we definitely check that.

20 But again going back to these being mature
21 markets, quite honestly a lot of the brands they don't
22 really know what they need. This is even more the case with
23 polyethylene and the fact that it's been around for decades.
24 And it just works. So if I have this cup I've got it today,
25 I go to McDonald's, I put it into my car. It's 110, oh I

1 forgot. I left it there for a couple of days. It's
2 probably still holding the liquid. It may or may not be.

3 In an alternative what's acceptable? Am I okay if
4 it lasts for -- I had one fast-food restaurant tell me it
5 was okay as long as it got the customer off the property.
6 (Laughter.)

7 So the other one was do I go is it two hours? Can
8 it get a little soft, we call a little punky. So again it's
9 defining those criteria. What defines fit for use? And
10 what makes it there and how do we make sure that we hit
11 those marks in developing this? And so a lot of variables
12 come into this whole situation.

13 MS. VENTURA: Definitely (indiscernible)
14 especially for DTSC to think when they're trying to make
15 decisions they also do consider we don't want to have
16 markets that are just failing products. People want soap to
17 work, they want food packaging to work.

18 But I'm just trying to add that if there is that
19 end of it we have not created that product again. And I can
20 hear that that is complex. I'm not trying to make light of
21 it. I am not some idealist up in the clouds, but we
22 sometimes forget about that. And when I hear performance, I
23 hear somebody's specific need.

24 And I'd love for you to tell us which company just
25 wants to get us off the property, so we don't go there. But

1 I won't put you on the spot. (Laughter.)

2 MR. MAYHOOD: Okay, thank you.

3 DR. ORTS: Let me just say the opposite.

4 California and a few states have a thing called the PBC,
5 Public Benefit Corps. If you don't know what they are you
6 can be incorporated, you can be LLC, or you can be PBC and
7 PBC can bring in the environmental impact into things or
8 global pictures.

9 And so many of the companies that we talk about
10 here are PBCs, which is so if you're working with PBC you
11 know that just a fiduciary bottom-line dollar value is not
12 their only decider. They can look at the bigger picture.

13 MR. LEIMKUEHLER: I would also say that from
14 there's a quality piece. There is also the cost piece. So
15 Cathy was mentioning the requirements of the Washington
16 legislation that says it has to be as good as or better
17 performance. It also has to be as cheap as or lower than
18 the alternative.

19 And that is another thing to your point that is
20 depending on the conversation I just talked to Jen about
21 this. And I was sitting in a meeting with the marketing
22 person, the stewardship person and the procurement person.
23 And the person looked at me and said, "At three cents a bag
24 more? Puff, people pay that all day." And the procurement
25 person came out of his chair and said, "Are you kidding me?"

1 That's an X percent increase. We can't tolerate that."

2 So it's the same thing on a cost standpoint where
3 the consumer by and large, if you would poll the consumer
4 would say, "Sure I'll pay three cents more just in case that
5 stuff's bad, so I don't have it, I don't have to worry about
6 it." Versus the procurement person making a decision that,
7 "I can't sacrifice this part of my budget for that, because
8 of my company's goals."

9 MS. RUDISILL: And just your comment I think is a
10 really good one. And it kind of made me think of the
11 presentation previously by Danish Coop [sic] where when they
12 were trying to make the transition away from the PFAS in
13 microwave popcorn bags they took it upon themselves to
14 advertise and communicate to their customers why they were
15 doing that. And why they made the safety and health case
16 for why they thought that it was important to do that. So I
17 think it's an interesting aspect that might address some of
18 your concern of that. I think there's probably some
19 consumer education that needs to be continued.

20 DR. NG: Can I just follow up on that? Two
21 things, one is we know we started earlier this morning
22 talking about how consumers shouldn't have to have a PhD.
23 And so we really do want to get to that point where people
24 assume things are safe and they actually are safe.

25 And the other thing about costs that I think is

1 being sort of discussed, but not really is who is paying the
2 cost for these things? And I want to bring up the equity
3 piece. So if we come up, we know the consumers will pay for
4 safer products in their really fancy new outdoor jackets
5 that are PFAS-free.

6 But food should not be a luxury item and it
7 shouldn't be that you have to have a bigger food budget to
8 afford the organic, the safer foods. And in a way we're
9 kind of making it that way right now because nobody is
10 paying the costs for the end of life. Or at least it's not
11 the producers that are paying the costs for the end of life.
12 And so when we need new products and costs come up it's the
13 consumer that has to pay. And I think that's really unfair.

14 MS. MARTINEZ: That's such a challenge for most
15 sustainability issues, right? Whether that's organic food -
16 I mean, fill in the blanks. So yeah, it's a great point and
17 a big challenge. I don't think there are any simple
18 solutions for it. But you're right, that's got to be the
19 equity piece has to be part of the discussion for sure.

20 MS. BRANYAN: I did want to bring up one more
21 point. We're kind of talking about the issues and the
22 difficulties in finding either cost or sourcing for all of
23 these alternatives. But has there been a type of food
24 packaging that it's been particularly difficult to find an
25 alternative for?

1 MR. LEIMKUEHLER: Popcorn. Popcorn has, cold cups
2 have. I mean there are several of them. And I think in
3 certain cases you can find instances where even though they
4 were really difficult there is success. It's just that
5 success might come with more costs or a little tighter
6 supply chain or a smaller supply chain. But I think you can
7 find evidence of that occurring.

8 Microwave popcorn is the one that again Malene
9 talked about, and in the industry is one that's there are
10 very few people who can do it. And it is something that --
11 but it can be done. You'll find fluorochemical suppliers
12 that will say it can't be done without PFAS.

13 So I think it's also a matter of a scare tactic to
14 some degree to say that it's not doable. But in the reality
15 is it is something that tightens the supply chain, it is
16 something that creates a constraint to the current
17 conditions that the market is used to.

18 DR. ORTS: We'll add the pizza box. You don't
19 want to get home and have your pizza box drooping,
20 condensation and oil. You can get a liner if you want.

21 MS. ROBIN: Can I just speak about the pizza box
22 for a second? Because it is I think a big challenge of
23 there's a lot of data out there about how many pizza boxes
24 are ending up in landfills rather than in compost
25 facilities. And so the idea of creating a compostable pizza

1 box is a real problem. It also has food waste in, so that
2 raises an issue as well.

3 But I think it's just a product out there where
4 the performance standard is going by a kit test, which you
5 were talking about earlier. I mean if they were using a
6 different kit test for it to determine whether or not it is
7 successful in performance that might open up some
8 opportunities.

9 But I think a compostable pizza box is one that
10 we're hearing that there is a huge demand for, and there's a
11 desire for them not to be continuing to end up in landfills.
12 Liners are really not real popular with the consumer. So
13 part of it can have to do with the design of the box, but
14 definitely a wet-end solution for oil and water is what
15 everybody seems to be looking for.

16 DR. BALAN: OK, I just want to make sure I
17 understand it. So you're saying that pizza boxes contain
18 PFASs. And I'm asking because I know that's something that
19 you see pretty much everywhere in the literature that pizza
20 boxes contain PFASs. But when I talked to FDA they told me
21 that PFASs are not used in pizza boxes except perhaps in the
22 small single-slice boxes. But for the big pizza boxes
23 they're not used because they're too expensive. And at most
24 there would be a liner that contains PFASs, but the box
25 itself does not and that's a misconception.

1 MR. LEIMKUEHLER: Yeah. In this case the inner
2 ply of a box is different than the rest of the structure,
3 and that inner part of the box usually is treated. So if
4 you look at the whole box as there are three other parts of
5 it, two of the parts of the box that are not treated, but
6 that typically that inside one is.

7 DR. BALAN: Okay. All right.

8 UNIDENTIFIED SPEAKER: That molded fiber
9 (indiscernible)

10 MS. CHIANG: Right, I thought Toxic-Free Future
11 had done a bunch of testing of pizza boxes in Washington
12 State and they didn't find it in that many of them?

13 DR. BALAN: So there may be some have them, but
14 not all. Okay.

15 MR. YEPSEN: Yeah, we have a BPI-certified pizza
16 box, Rhodes Yepsen with BPI.

17 MS. RUDISILL: Just a comment on the requirements.
18 When we were engaging with some of the stakeholders they
19 communicated to us that the difficulty starts to increase
20 with the performance, the more extreme the performance
21 requirements are, so the higher heat, the longer duration of
22 that expected performance.

23 And then if you want a lot of other things that
24 PFAS can also provide like the vapor transmission and the
25 water vapor, water transmission, that sort of thing. Is the

1 more layers you add on to it I think that generally speaking
2 they said that that's when it gets really hard to enact an
3 alternative.

4 DR. ORTS: Yes, so we've run across that. To
5 replace PFAS you need two or three sizing agents often, or
6 that's what we hear at least from people.

7 So PFAS is really good on a couple of regards:
8 grease, water and even vapor. And if you want to replace
9 it, with a milk carton you'd have to add one vapor barrier,
10 one something else, one something else. So just adding
11 three steps instead of one is a hassle, even if the cost is
12 right there.

13 DR. BRUTON: Hi. Tom Bruton, Green Science
14 Policy. I think that one of the toughest questions we got
15 when we were up there this morning was what do you think
16 DTSC should do? And I'm wondering if any of you would
17 venture to answer that question? Did I steal your thunder?

18 MS. BRANYAN: Thanks for stealing my thunder, Tom.
19 (Laughter.) I appreciate that. But yes, we are coming to
20 the end of our panel. And so I am very much interested in
21 what all of you think might be the next steps for DTSC.
22 What kind of are the hindrances or where should we move from
23 here? Okay, let's round robin.

24 DR. ORTS: Okay, so one of the worries even when I
25 was talking to you and I put up this siloxane slide, you ban

1 C8s and the industry moves to C6, right? I mean that's the
2 water balloon thing. You just, "Okay, great that worked
3 well." And that's just because there's less data on C6.
4 Who knows if it's safe? A slight worry that you're going to
5 move to -- so if you just say "PFAS-free, done, no fluorine
6 in anything," the options are not -- they need to be well
7 thought out. And siloxanes aren't necessarily way better,
8 metal films aren't way better, multi-laminate steps.

9 So in order to make a really good milk container
10 that does everything PFAS does you need a polyvinyl alcohol
11 layer, you need maybe polyacrylate in there, maybe even a
12 lay, right? Three layers or whatever, you name the sizing.
13 That makes it really untenable in recycling. It makes it
14 harder to recycle. So everything you do needs to be thought
15 out. Unless you go back to the future, maybe the old sizing
16 agents: starches and celluloses and parchment and things
17 like that.

18 What should they do? I'm in favor of PFAS-free
19 perhaps, but you have to think of can you get a life cycle,
20 or can you get a ramification, a study that says what's
21 going to happen if you squeeze the water balloon?

22 MS. RUDISILL: I would say for our perspective in
23 working in with Ecology I would just say that your program
24 is based on Alternatives Analysis, Alternatives Assessment.
25 And I would just encourage you to stick to the basic guiding

1 principles of Alternatives Assessment, which is, I mentioned
2 in my talk, of considering all of these different aspects of
3 the issue. And I had a thought and it just went away. You
4 can tell it's getting late. So yes and I know that Ecology
5 is looking forward to collaborating with California and
6 keeping that engagement happening.

7 MR. MAYHOOD: Well, I would just reemphasize again
8 I'm going to beat the dead horse on a couple of things. But
9 the solutions are available, so they are in the marketplace
10 today. And so I think you can certainly start there and
11 begin with that dead horse part is going back to fit-for-use
12 requirements. Getting those properly defined, properly
13 understood, making sure that the entire supply chain is
14 considered and evaluated.

15 I would also look to see where you would require
16 PFAS-free certification, some type of guidance, some kind of
17 testing. And I didn't mention Prop 65. We do Prop 65 as
18 far as our requirements as well. So the basic compliance
19 requirements, PFAS-free should be added to that list to make
20 sure that happens.

21 And then I think you also have to look at the cost
22 equation and kind of go back and say, "Look, new technology
23 you can't expect it to be at parity with the current
24 materials." Get rid of the short-term profit focus and look
25 at the long term to get rid of dangerous materials that when

1 they're replaced will come down to parity in terms of cost
2 if not actually do better.

3 MS. MARTINEZ: I think every point that's been
4 raised so far, those are all very good. I think that
5 continuing the information-gathering process, right? I mean
6 I'm going to come out of here with lots of questions and so
7 I'm sure you are too, right? And so I just think continuing
8 to engage stakeholders and gather information.

9 I think the points that were raised earlier about
10 shifting consumer expectations and the subjective
11 understanding of performance and what that means. I don't
12 know, I didn't hear today sort of a more formal approach to
13 understand that, like how do brands think about their
14 standards? What are consumers willing to give-and-take on?
15 I think that area is so important for the reasons that we
16 discussed today. And I think doing some more focused
17 research and effort on that specifically would be
18 beneficial.

19 MS. CHIANG: So I think we have the position at
20 CEH that we don't see these as essentially used for this
21 particular category of products. So we would like the scope
22 to be as broad as possible. But understanding we have
23 limited resources I would probably echo maybe it was Jen's
24 comments of still looking at all the categories of molded
25 fiber, paper, paperboard, but maybe prioritizing the ones

1 that are intentionally used for the grease resistance and
2 oil resistance to start.

3 MR. LEIMKUEHLER: I would say that there was a
4 comment made in the first panel around targeting
5 applications where there is the highest concentration of the
6 PFAS chemistry itself. I would actually say that that's not
7 the right approach. And this was a conversation that I had
8 with SRC too. If you look at where you have the biggest
9 problem of end of life so molded fiber may be a great place
10 to start because you have to push everything to, or most of
11 that end of life is geared towards compostability. And
12 you'd find the places where a change in regulation is a
13 large impact with one application, because from a volume of
14 materials in the system that's where you're going to get the
15 biggest bang.

16 If you target microwave popcorn, for example,
17 you're going to get this little piece way over here. If
18 you target quick-service restaurant you're going to get this
19 gigantic piece way over here. And I think from a technical
20 complexity standpoint that's easier. That's from an overall
21 end of life goal that you have for the state. You can gear
22 that there.

23 If you know that you want to have compostability
24 and non-PFAS then you can gear your solutions that way in
25 which it may be easier to accomplish those goals versus just

1 casting this big, broad net where you have a lot of
2 challenging applications, technical requirements,
3 subjectivity, all those things. My concern is it will mire
4 you in the details and you will never get past it. So the
5 engineer in me goes better, not best. Work your way. Take
6 big bites where you can, and get rid of those pieces. And
7 then work your way towards the more difficult, challenging
8 ones. Keep them on the table, but just prioritize that
9 list.

10 MS. MARTINEZ: And engaging composters, right?

11 MR. LEIMKUEHLER: Yeah. Yeah, exactly. Exactly.

12 MS. MARTINEZ: I mean, I think that was kind of
13 explaining what you were saying and to Neil's point earlier,
14 right? That if they're the ones are receiving a lot of this
15 material they need to be very much a part of the process.

16 MR. LEIMKUEHLER: Same on recycling. Because if
17 you're going to go down the recycling lot you'd need to
18 engage in FPI sitting here, the Fiber Box Association,
19 things like that who are the net recyclers of the U.S. You
20 have to engage them too, because they are going to be the
21 ones that pull it through.

22 MS. BRANYAN: What do you think is the biggest
23 impact? Like you've mentioned kind of the full breadth of
24 it and the issues that come with each of those, but if you
25 had to pick what would you do?

1 MR. LEIMKUEHLER: Well I would, if I were to be
2 just somewhat vague in my answer, I'll say I would go to a
3 market study and say, "Where do you have the biggest volume?
4 Where do you have the biggest volume applications?" Because
5 today there was a conversation I had in the hallway about
6 food-waste contaminated paper doesn't go in the recycling
7 bin ever, right? It almost always goes into a landfill,
8 unless you have a composting facility nearby which is not
9 the majority of the United States.

10 So I would just say that if you target those
11 places where you have the largest volume, the largest mass
12 in the system then you're going to take the biggest amount
13 out of the system. So it's pretty readily available to find
14 where those volumes are larger and where they are more
15 significant. And typically those are ones that are also
16 they have a performance criteria and (sounds like) and a
17 size as well. But to Clay's point, a kit 3 instead of a kit
18 twelve.

19 MS. CHIANG: May I make one comment? So I just
20 wanted to mention that the Compost Manufacturing Alliance
21 has been engaged on this. And they also recently put in the
22 restriction on PFAS compounds in their field testing and
23 their composter-approved list of products. And so that will
24 go into effect I think by the beginning of 2021.

25 DR. BALAN: So in the first panel we heard a

1 couple of recommendations that if we had to prioritize
2 something, molded fiber products might be a good place to
3 start. So it sounds like Vanguard is the first PFAS-free
4 solution for molded fiber products. Are there any others as
5 of now? And it also sounds like that Vanguard might not --
6 you said that it doesn't have all the performance benefits
7 of PFASs, so it sounds like it may not work for all
8 applications. So I'm just wondering if there are any of the
9 solutions besides Vanguard. If there was any work that
10 industry is already making to expand to other applications?
11 And how would an Alternatives Analysis like the one mandated
12 by our program benefit the search for alternatives in this
13 area?

14 MS. MARTINEZ: Sure. I know that we just hear in
15 the industry that our competitors and others that play in
16 the molded fiber space are working on solution as well. I
17 believe there may be, you know Eco-Products was the first to
18 get BPI certification under the new standards for molded
19 fiber. I believe there may be some others by now. I'd have
20 to go to the website to double check for sure. But I think
21 that there are some other options on the horizon.

22 MS. CHIANG: I believe Footprint also makes a
23 molded fiber product without PFAS. And then we have been
24 hearing about others that have are working on alternatives.

25 MS. ROBIN: I'm going to say we do make a PFAS-

1 free molded fiber product, but it's not meeting a
2 performance standard for certain kinds of hot food which I
3 think is the same as Eco-Products. Or maybe you do, I
4 wasn't quite clear what you said on that.

5 MS. MARTINEZ: On the performance issue?

6 MS. ROBIN: Yes.

7 MS. MARTINEZ: It's definitely worked. I mean,
8 for certain customers yes, it works fine for their hot-food
9 application for sure.

10 MS. ROBIN: It just depends on the customers
11 performance standards?

12 MS. MARTINEZ: Just their specifics exactly in
13 terms of (indiscernible) --

14 MS. ROBIN: And that's where we go back to dishes.
15 We have the same thing.

16 MR. WAGGONER: You know one thing that would be
17 really helpful is that right now there are a bunch of
18 CalRecycle grants, but you only get points for diverting
19 material from landfills. You don't get points for
20 displacing things that otherwise go to landfills. And you
21 don't get points for eliminating carcinogens. And so if the
22 framework you came up with could get points on those sorts
23 of grants and get more money to bring these alternatives to
24 market and get more of them made in the U.S. that would be
25 extremely helpful to manufacturers.

1 And this is Mike Waggoner from Corumat, sorry.

2 MR. YEPSEN: Yeah, Rhodes Yepsen with BPI. The
3 other one in our database right now that's certified is
4 Cycletech. So that's the other one. But there are many
5 companies that are working and are hopefully close.

6 DR. BALAN: So sorry, so then an Alternatives
7 Analysis through our process, would that help manufacturers?
8 Or are manufacturers of molded fiber products already
9 working to eliminate that and would continue to do that even
10 without our involvement? Because that's also something
11 important for us to keep in mind, right? Like is this --
12 are PFASs already being phased out from this part of the
13 market? Or would our intervention help in any way?

14 MS. MARTINEZ: You're asking if regulation would be
15 a driver for demand?

16 DR. BALAN: Right.

17 MS. MARTINEZ: Sure. I think with most issues
18 there's going to be a certain voluntary demand for new,
19 emerging technologies. And then when something is regulated
20 that can accelerate it and make it happen. So I don't think
21 this would be unique in any way.

22 MR. WAGGONER: I mean if there's anything that
23 changes a financial incentive to solve the problem. So if
24 tipping fees went up for non-recycled products, so that
25 there was more a financial incentive to get rid of poly

1 coated paper, which doesn't really ever get recycled very
2 often, if the tools that you came up with would highlight
3 those things and create more market incentives for these new
4 products to be developed and made locally then that would
5 make manufacturers do more R&D.

6 MS. ROBIN: I would say I favor the regulation in
7 concept and also as a consumer. From the industry's
8 perspective my sense is everyone is trying to get rid of it
9 as fast as possible now whether or not a new regulation
10 would make that happen faster I can't really say. From our
11 perspective we would like it to be yesterday. But we
12 haven't been able to identify an alternative for ourselves
13 that satisfies certain customer performance standards. I
14 don't know that the regulation that you would pass would
15 change that, but maybe.

16 I think about what the City of San Francisco is
17 doing. And that is starting to have an impact on some of
18 the performance standard expectations. So I guess my answer
19 is I don't see a need for the regulation to go into place
20 faster to make us as an industry participant do it faster.

21 MR. LEIMKUEHLER: My only counterpoint to that
22 would be that with the suppliers with that mentality, for
23 sure I agree, and there are a lot that are out there. There
24 is a lot of people in the industry that don't have that
25 mentality that are going to go kicking and screaming into

1 things. So to Sarah's point there is always that population
2 that legislation forces to move. I don't know that you need
3 legislation to make this happen. There's enough momentum to
4 your point with people moving voluntarily. But legislation
5 is always going to prompt movement that wouldn't happen
6 otherwise.

7 DR. GRANT: Hi, Kelly from DTSC. Cathy I was
8 wondering if you could comment a little bit on when your
9 Alternatives Assessment would be completed and how broad the
10 scope is? And whether that would help folks if we decide to
11 regulate PFAS and food packaging?

12 MS. RUDISILL: So at the moment the general
13 timeline is that it has been adjusted again. So we're
14 looking at summer, this summer, for a report to Ecology.
15 I'm actually going to Ecology tonight. Well, I'm going to
16 Washington tonight, so I have an in-person meeting with them
17 tomorrow. And I'm hoping to clarify some of the milestones
18 that we'll reach in between there. So that's what we're
19 looking at right now in general.

20 And what was the other part of your question
21 again? I'm sorry.

22 DR. GRANT: (Indiscernible) just whether your
23 assessment would be able to help the folks who would be
24 regulated in California?

25 MS. RUDISILL: I definitely see overlaps. I mean

1 you're looking at the ultimate goal sort of being the same
2 as the identification of safer alternatives.

3 I understand that the California regulations work
4 a little bit differently as far as what they are allowed to
5 -- the kind of rulemaking that you are allowed to enact
6 versus what's going to happen in Ecology. But as far as the
7 actual information I definitely see overlap and the chance
8 for California to kind of build on or expand on what we're
9 doing. And I know that we consider them to be a stakeholder
10 in this process. And we're happy to share information as
11 soon as we can with them, so yes.

12 MR. EDGAR: Neil Edgar, California Compost
13 Coalition. I would just circle back as I certainly don't
14 want any alternatives that are not fully vetted with recycle
15 processors, recycling companies.

16 There is a massive move to try to create domestic
17 markets for a lot of the recycling materials and commodities
18 that are coming back in that China is no longer willing to
19 accept. And there are a number of emerging products and
20 product lines that could be impacted. So along with the
21 composters and the recycle processors need to be engaged in
22 that conversation to not create, again, push the button in
23 one place and then a piece of the balloon goes out the other
24 side.

25 DR. BALAN: So a follow-up to that, so Ecology is

1 looking at liners, bags and wrappers, right?

2 MS. RUDISILL: I think at a minimum in the scope
3 we'll include wraps, liners and bags, likely also
4 dinnerware. We're kind of roughly defining at the moment as
5 like plates, bowls and food boats, food trays. What we're
6 trying to refine at the moment, which will be very soon, is
7 to the extent that we can include containers.

8 We have a couple of constraints at the moment,
9 obviously one being budget and then also being timeline.
10 The more complex we look at the different types of products
11 the more we're going to have to clarify things like
12 performance for those different products. And we only have
13 about six months or so to really get this report out.

14 So in dealing with the stakeholders and procuring
15 information and that sort of thing it just takes time. So
16 we're still working on how we can broaden scope as much as
17 possible to have that maximum impact. But I think at the
18 minimum wraps, liners, bags and dinnerware is probably where
19 we're looking at.

20 DR. BALAN: So would the dinnerware include molded
21 fiber products?

22 MS. RUDISILL: We would. You said molded fiber? I
23 think if -- we're trying not to constrain by these
24 materials, so if we're considering an alternative we would
25 be looking at paperboard, molded fiber, different types of

1 plastics like PLA plastics or PLA foam, for example.

2 DR. ORTS: This is an aside, but mold-release
3 agents seem like a no-brainer. There are a lot of mold-
4 release agents that don't need to be fluorinated.

5 MS. BRANYAN: Okay. It looks like we are coming
6 close to the end of our day. And so I was hoping to see if
7 anybody might be able to chime in on anything that maybe you
8 thought we had missed in our discussion. Something I know
9 that Sarah had mentioned, kind the functionality component
10 that maybe we should dig a little deeper. Is there anything
11 else that you think that DTSC has maybe overlooked? Or we
12 should dig deeper into in terms of the discussion of
13 alternatives?

14 In that case (indiscernible).

15 MS. CHIANG: So, I guess it was already mentioned,
16 but just really also an emphasis on looking for promoting
17 reusables wherever possible as well.

18 MS. BRANYAN: In that case, then I will go ahead
19 and thank our panel for coming and sticking with us all day.
20 And being engaged and asking all our questions before I
21 didn't have to. So thank you.

22 And I'll go ahead and turn our closing remarks
23 over to Karl.

24 ACTING DEPUTY DIRECTOR PALMER: Thanks Jennifer.

25 So I know I speak on behalf of Secretary

1 Blumenfeld and Director Williams and our SCP team here at
2 DTSC in thanking our panelists and speakers today. We have
3 people coming from very far away. And their time and energy
4 and thoughtfulness, we really appreciate. It's really
5 important to our ability to get the job done and do it well,
6 so thank you all. Thank you all in the audience, and online
7 and here likewise for participating. I like to say
8 information is the coin of the realm and the more
9 information we get the better. And the better decisions we
10 can make, so you're really key to that process, so thank
11 you.

12 I also want to take a quick minute to thank my
13 staff who have worked diligently to put on this workshop as
14 well as they do every day. And certain people like Baoku
15 who here behind the scenes make all this happen. And when
16 we're having PhD scientists and engineers do everything from
17 signing you in to picking up the plates and forks it's an
18 all-hands operation, so we appreciate that. So thank you.

19 I just wanted to close and I had one thought. I
20 was struck by Malene's, one of her bullets in her
21 presentation that said their strategy was to target the few
22 through many to make a difference for every one of us. And
23 I thought that was powerful.

24 And I think it speaks to our mission here at DTSC
25 too, which is there are many targets of things we would like

1 to do. And on some of those things that we talked about
2 today, everything from the concept of promoting equity and
3 factoring in cost and looking at the various layers of
4 scientific challenges for performance and setting standards
5 and clarity and then engaging with retailers and brand
6 owners and everyone that touches these products and has a
7 role in their use, development and efficacy.

8 It's really important that we all have this
9 conversation. And so I wanted to say that the next steps we
10 are going to do from here at DTSC is one, we're going to go
11 back and digest all the information we heard today. And no
12 doubt we're going to have additional questions, so you can
13 expect that some of you will be getting calls from us to
14 follow up as we contemplate what we heard today.

15 And then what we'll do is we'll get together. And
16 as we ask and answer some of those questions we will decide
17 at DTSC what our next steps are going to be in terms of this
18 space for food packaging. And if we decide to identify a
19 specific product or products then we would then take our
20 background document and move towards developing what we call
21 a Product Chemical Profile, which would specify what we're
22 looking at and why. And then we would seek additional
23 comment on that before we go to rulemaking to identify it as
24 a Priority Product to go through our process.

25 So it's really important, that information. And

1 it's an iterative process. We learn a lot every day and
2 every time we talk to all of you and we really appreciate
3 it. So I do encourage you to, when you leave, and you think
4 about what you heard and learned today that if questions and
5 thoughts come up to please contact us. Obviously by
6 midnight tonight you can comment formally on our background
7 document on via CalSAFER, but don't let that stop you.
8 Please pick up the phone or send us an email or ask to meet
9 with us as we are on this journey, because we really need
10 all of your help.

11 So with that thanks again, a safe journey to all
12 of you heading home, and in all the things that you make and
13 buy.

14 So thank you. (Applause.)

15 (Whereupon, the Workshop was adjourned at 4:25 p.m.)


16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of April, 2020.



PETER PETTY
CER**D-493
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



April 15, 2020

MARTHA L. NELSON, CERT**367